

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

JIFSAN SYMPOSIUM  
ASBESTOS IN TALC

BREAKOUT SESSION A  
TEST METHODS FOR ANALYSIS OF TALC AND MINERAL  
FIBERS IN COSMETICS

Conducted by Frank Ehrenfeld and Robyn Ray  
1:30 p.m.

7777 Baltimore Avenue  
College Park, MD 20740  
(202) 857-3376

Reported by: KeVon Congo

Capital Reporting Company  
1250 Eye Street, NW, Suite 350  
Washington, D.C. 20005

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

A P P E A R A N C E S

Frank Ehrenfeld

3

Robyn Ray

1 P R O C E E D I N G S

2 FRANK EHRENFELD: So let's see if we can -- we  
3 put together a little something here to keep the  
4 discussion going. But before I do, I thought it was  
5 appropriate that we could at least talk about a couple  
6 items that we covered this morning before I get going.  
7 However, I wanted to introduce ourselves up here.

8 I'm Frank Ehrenfeld. For those who do not know  
9 me, I'm the chair of ASTM D2207 in my spare time and  
10 then a laboratory director at International Asbestos  
11 Testing Labs in New Jersey.

12 To my left, a partner here for today, Robyn  
13 Ray; and Robyn is the special projects manager for  
14 asbestos for EMSL nationally, and she's doing a great  
15 job.

16 Robyn and I put this together to help our  
17 discussion today. At some point I hope to be directing  
18 traffic, meaning I hope I see multiple hands in the air  
19 so we can have some participation. But again, I want to  
20 start with a little bit -- a couple points that I heard  
21 this morning, and I thought it was interesting to  
22 perhaps reiterate.

1           Greg Meeker said, "Is it possible to protect  
2 public health without regulating everything?" So we  
3 have to keep that in the back of our mind as we go  
4 through the rest of the sessions this afternoon.

5           Also, in a side discussion with an anonymous  
6 source here today, who was wearing a hat last time I  
7 saw him in the hallway, Martin Harper indicated that  
8 the geologist used to own -- yeah -- geologist used to  
9 own the definition of asbestos. He says, "Now it has  
10 been turned over to the legal community."

11           In Greg Meeker's talk, he also had that --  
12 just those few short words that also put things in  
13 perspective. "What does your lung know?" So what do  
14 your lungs know I think is an important concept to keep  
15 things into perspective.

16           I think I have one other that -- just one.  
17 Yeah. One other here that both Ann Wylie implied --come  
18 on in, Julie, we saved you a seat -- that Ann Wylie  
19 implied and that Martin Harper and others also mentioned  
20 today that maybe perhaps, not in this same sense, and  
21 that is that the original definition of asbestos, when  
22 it was being put together past 1975, had

1 to do with the mineral that we analysts -- that was  
2 intentionally formulated into the bulk building  
3 materials but that anything contaminated by materials or  
4 from a natural occurrence of asbestos maybe needs  
5 another definition---- that would help, perhaps,  
6 segregate employees, populations, and perhaps more  
7 problems that we are finding.

8           The last thing was a more practical concern,  
9 and that is in ASTM D2207, we have a terminology guild.  
10 That's D7712. And Steve Compton, are you in the room  
11 here today? Steve, yes. The problem children are  
12 having -- here in front, Martin. That's why you're  
13 there. (Audience laughs.) But it's easier than that.  
14 Steve will tell you that maintaining that document over  
15 the years has been -- it's taken a lot of your time.  
16 It is a difficult complication on his part. Same thing  
17 with the subcommittee. We will be sending around to  
18 the ASTM roster a survey -- three surveys over the next  
19 nine months to determine what definitions may stay or  
20 go or are popular or not popular or need to be revised,  
21 amended, or deleted.

22           The problem is, in these terminology

1 documents, we have multiple definitions for fiber,  
2 multiple definitions for asbestos, etc.; and this has,  
3 obviously, creating problems over the years as these  
4 were created, sometimes without knowledge of another  
5 subcommittee's work going forward. So I wanted to get  
6 that out there and I thought that would be a good place  
7 to start.

8 I think the ground rules for this short  
9 session today are, again, to think about the terms we  
10 have up here: talc, obviously; cosmetic talc; and then  
11 mineral fibers. Notice that our charge today does not  
12 use the word "asbestos" here. It uses "mineral  
13 fibers." And again, the objective that we got from  
14 JIFSAN was to establish concurrence on an analytical  
15 protocol for mineral fibers in cosmetics containing  
16 talc.

17 And this is where we want to know about the  
18 audience, so show of hands here. How many of you  
19 consider yourself geologists? Okay. Very good. How  
20 many of you are primarily lab analysts? Okay. How many  
21 that are related almost exclusively to the medical  
22 epidemiological, toxicological, biological side of

1 things? Show of hands. Okay. Good. How many of you  
2 are regulators, not work for a government agency but  
3 actually have a role in regulating something? Are you  
4 FDA? Okay.

5 So, obviously, the really cool kids here are  
6 the lab analysts, so -- but, no. We have a good  
7 population now of geologists, some people involved in  
8 the medical and biological side and regulators who want  
9 to hear what we have to say. We do this because we  
10 know that you'll be using those filters to help answer  
11 questions and move this along, and that's certainly  
12 what JIFSAN wants to know as well so --

13 You got all that down?

14 ROBYN RAY: Got it.

15 FRANK EHRENFELD: Okay. Thank you.

16 Here's some other things to consider. Some of  
17 these items were actually mentioned this morning, so in  
18 general, you know, we have prep and homogenization as  
19 very important steps to consider in any analytical  
20 method that Micky proposed.

21 How many here have prepped a cosmetic talc  
22 sample? Okay. We got it. And there's a number of

1 ways you can try to segregate the waxes and binders and  
2 everything that are present from the minerals that  
3 you're trying to detect. We've identified a few  
4 errors, as far as waxes and binders. Consequently, many  
5 times there's gravimetric reduction. There's ash and  
6 there's something you can remove that properly.

7 Identification of the minerals can be  
8 problematic, and we talked about that earlier; and  
9 we'll have a few examples, I'm sure, from you today  
10 about some of those problems using the various  
11 techniques and technologies that we have introduced,  
12 again, this morning that we will read this in here and  
13 another slide or two.

14 We talk about mineral habit as well, and again,  
15 many times it's not necessarily something that you run  
16 into on a practical basis.

17 When Ann was looking at some of those  
18 tremolite structures from that baby powder she found in  
19 her bathroom closet, it's -- as an analyst, when you're  
20 not Ann Wylie analyzing it, when you're somebody who's  
21 had a year or two of training and is looking at this  
22 stuff -- hey, let me sniff it. You've only had a year



1 or two with training with a light microscope. Please  
2 don't look at this stuff, right? But if you were, you  
3 need to have some sort of guidelines as to what's  
4 countable, what's not countable, regardless of its  
5 geological formation and habit or the definition of  
6 asbestos.

7           Where's the cosmetic you've used? And Julie  
8 nailed this one here. Is it going to be for -- is it  
9 going to be something regarding lip stick or is it going  
10 to be a powder that will tend to be more  
11 airborne? Do we look at these minerals and these  
12 products and do the methods change based upon the  
13 matrix that we're looking at? And as mentioned a  
14 couple of times earlier today, there is a lack of good  
15 reference standards. We can certainly find certain  
16 minerals, but where do we find certain minerals with  
17 the same binders and waxes and other items that might  
18 be in cosmetics, unless we actually go to the producers  
19 and ask them to share their formula.

20           So we threw other up here as well in case  
21 somebody had some sort of magical analytical technique  
22 that we're all missing, and again, whether that is

1 using the Brookhaven National Lab's Synchrotron or  
2 something; but I don't think there is a magic answer,  
3 and I think what we heard this morning, what we've  
4 heard from you as pain over the years and from the  
5 group at ASTM that is formulating these analytical  
6 amounts as well is that the -- having a suite of  
7 methods -- s-u-i-t-e -- would be certainly beneficial.  
8 There is good information. Marty expressed this as  
9 well. There's good information that we see when we're  
10 looking at a bulk material under a stereomicroscope on  
11 as a monolayer of particles on a slide with a light  
12 microscope with a experienced microscopist; and then  
13 additional information that can be gleaned by SEM, by  
14 EDS and certainly by TEM. XRD, there being the  
15 nonmicroscope technique where you're not actually able  
16 to see if it's even fibrous but at least you have the  
17 basic crystal structure and the chemistry. So all that  
18 was discussed this morning. We're going to circle back  
19 certainly to this.

20 Prep options. We mentioned gravimetric  
21 reduction. To what extent where you use a wet  
22 analytical prep method or a dry method. If it's a

1 raw material, certainly sieving to do some segregation  
2 by size. Milling -- but careful because we have all  
3 heard what milling does, and you certainly don't want to  
4 produce fibers, and you don't want to have to make sure  
5 there's material to interfere with you being able to  
6 detect that. Density separation, not only using methods  
7 such as Eric Chatfield's ISO, some of the elements of  
8 his method for ISO but even some of the heavy liquid  
9 separation for such things as vermiculite and sprayed on  
10 insulation. So there's a number of different analytical  
11 approaches to prep.

12 Solvent separation. Addison-Davis, I've heard  
13 mentioned, again, a few times this morning, where you  
14 are dissolving the other asbestos and other minerals to  
15 see if any of that contaminant asbestos might be in the  
16 property. Using the fluidized bed segregator that Ed,  
17 I think, is going to be selling for Christmas --  
18 (audience laughs) -- that can also be used to help  
19 separate some of these minerals and at least,  
20 potentially, collect them and take them away.

21 And then data recording. Here the analytical  
22 method what's going to be important. We heard an awful

1 lot about morphology today. Session B, we're going to  
2 be talking about the measurement criteria and  
3 identifying and fiber counting; but morphology is  
4 certainly key.

5 And yet you also heard from Ann, "Don't talk  
6 to me about aspect ratio. That's -- may not be  
7 important." Okay? And yet the morphology we heard over  
8 and over again this morning, is important. Until you get  
9 back to what Greg's slide was: "Does your lung care if  
10 it's prismatic or some sort of fragment?" And then  
11 interpretation of: "What are we going to do with all  
12 that data? How are we going to deliver that data in an  
13 analytical method?"

14 Oh, RJ Lee is here today.

15 ROBYN RAY: Matt [Sanchez]'s right here. Matt.

16 Is Matt -- is he going to have a weight  
17 percent? You going to do a volume-type of quantitative  
18 approach? Is this analytical method going to be  
19 utilized while manufacturing professionals, people  
20 doing the exposure work, regulators? Is it going to be  
21 involved into the risk side of things or limitation?

22 Currently you can use some tried-and-true

1 light microscopy methods and the TEM gravimetric  
2 reduction methods that are out on the APA600. And if  
3 it's in there, and if you know what you're doing, you  
4 can find it. I think that's our last slide.

5 So with that, I wanted to sort of open it up  
6 and say: Where should we go and what are some of the  
7 other elements? And if you need me to, I'll go back to  
8 a certain slide if it means that it helps with the  
9 conversation.

10 So we had our hands up earlier for how many of  
11 us were lab rats and had experience with microscopy or  
12 XRD. I see one XRD expert here. Anybody else who's an  
13 XRD person?

14 AUDIENCE MEMBER 1: Besides me?

15 FRANK EHRENFELD: Yeah. Well, I'm looking at  
16 Gary, Julie, and Allen and Sean. They've all had  
17 experience, and yes, I have an XRD in my laboratory. I  
18 turn to Dr. Rozinski (ph) and say,  
19 "Go get me that data because I" --

20 AUDIENCE MEMBER 1: I can do that.

21 FRANK EHRENFELD: Yeah. I mean, for me, back  
22 in the day, I remember putting film on the inside of my

1 XRD.

2 AUDIENCE MEMBER 1: You're sure?

3 FRANK EHRENFELD: Yeah. Yeah. Okay. So I  
4 think these students and the people who are looking at  
5 that data now absolutely have -- they can't believe it.  
6 They were still in the dark at one point.

7 Martin?

8 MARTIN RUTSTEIN: Just an observation. When  
9 this thing with talc and cosmetics came up, my wife,  
10 Sean, said Sephora was holding them for women last  
11 year. I started --

12 FRANK EHRENFELD: She has a way out.

13 MARTIN RUTSTEIN: It's a great place to hang  
14 out with.

15 FRANK EHRENFELD: Have you got any --

16 MARTIN RUTSTEIN: I'm starting to go there and  
17 read the labels on what's in these containers. You've  
18 heard that one, mineral powder. There's no minerals in  
19 it. Everything under the sun. It's there, at least,  
20 is your starting point from all the -- I'll call it the  
21 "smart lid," sure.

22 FRANK EHRENFELD: Yeah. Speaking of reading

1 the labels, a large litigation case was avoided years  
2 ago when a floor tile manufacture wanted some new  
3 product tested and indeed there was tremolite detected;  
4 and I didn't say tremolite asbestos, but it was  
5 tremolite. However, there was a small portion of the  
6 population of tremolite -- it was in these brand-new  
7 floor tiles that was asbestiform tremolite asbestos.

8 A few laboratories -- in fact, Dr. Chatfield  
9 and I shared a presentation to Johnson two Johnson's  
10 ago, I think, on this. And after his fibrosity study  
11 he didn't -- was able to show that indeed about 0.1  
12 percent of the overall material was asbestos tremolite.  
13 The flooring company said, "Oh, we'll take those back.  
14 We're going to give you another lot worth of floor  
15 tiles. The school was good to go. Everything's fine.  
16 But interestingly enough, only MSDS, shoot, from the  
17 manufacturer that, I guess, had the mineral come in, the  
18 dolomite. In the dolomite they listed, "Contains 1  
19 percent tremolite." They were about spot on with that.  
20 There was -- a fraction of it was asbestos tremolite.

21 So back to technologies and methods, does  
22 anybody have the answers so we can just cut this short

1 and go to the bar? (Audience laughs.)

2 GREGORY MEEKER: No.

3 FRANK EHRENFELD: No.

4 AUDIENCE MEMBER 3: Can you go back to the  
5 slide on preparation?

6 FRANK EHRENFELD: Absolutely. And this may  
7 not have all the factors in prep but it's at least  
8 some.

9 AUDIENCE MEMBER 3: So you know, presumably  
10 we're here because there's health effects associated  
11 with this; and as a toxicologist, what is important to  
12 me is that the -- what we're looking at is as close as  
13 possible to the exposure material that causes the  
14 disease. In other words, is the pathway the same? Is  
15 the realm of exposure the same? Is the point of  
16 contact similar? Anything you do to a sample that  
17 moves it away from that dose -- the actual dose that  
18 causes the disease, moves you further from what you  
19 really want to know, and so -- and we saw that. I  
20 think Martin -- Martin's not here -- but this morning,  
21 for example, he showed that the little -- I forget  
22 what he called them -- little --



1 FRANK EHRENFELD: Adherences.

2 AUDIENCE MEMBER 3: -- little adherences to  
3 the --

4 FRANK EHRENFELD: The "Jimmies." The  
5 Jimmies on the long lost case.

6 AUDIENCE MEMBER 3: Right.

7 AUDIENCE MEMBER 4: What do you call them?

8 FRANK EHRENFELD: Jimmies.

9 AUDIENCE MEMBER 3: Jimmies.

10 FRANK EHRENFELD: Jimmies.

11 AUDIENCE MEMBER 3: It's a --

12 AUDIENCE MEMBER 4: More than one jimmies.

13 AUDIENCE MEMBER 3: That's a technical --

14 FRANK EHRENFELD: That's a geological term.

15 (Audience laughs.)

16 (Crosstalk)

17 AUDIENCE MEMBER 3: But it's that sort of  
18 thing that if you disturb that -- you know, if you use  
19 a technique that disturbs the sample in any way --  
20 breaks fibers, it disperses bundles in a way that  
21 wouldn't happen biologically, if it causes Jimmies on  
22 the surface that you don't know anything about or its

1 effect -- then you really are moving away from what you  
2 want to know.

3 FRANK EHRENFELD: So two things. In an  
4 analytical lab, we want to follow a SOP or a method so  
5 that we can say we followed this; and so in purposing  
6 one, or for those methods that are already in  
7 development, to amend or revise and make sure we have  
8 them right. Are you saying -- because I want to get  
9 this right because Robyn's taking notes feverishly there  
10 -- don't do anything in prep that's going to alter the  
11 potential fiber content?

12 AUDIENCE MEMBER 3 : A fiber characteristic is  
13 what I -- and that might --

14 FRANK EHRENFELD: Okay.

15 AUDIENCE MEMBER 3: -- include content.

16 FRANK EHRENFELD: So fiber characteristic --  
17 so don't mill it. Maybe don't do something else to  
18 create fibers.

19 AUDIENCE MEMBER 3: And you know -- to, you  
20 know, to clarify.

21 FRANK EHRENFELD: Yeah.

22 AUDIENCE MEMBER 4: My perspective as a

1 toxicologist again, I understand there might be reasons  
2 that you want to know, you know. You might want to know  
3 weight, you might want to know bulk. But in terms of  
4 what you want to know for disease characterization, the  
5 least amount of disturbance to that sample is critical;  
6 and, in order to address that, in some situations, we've  
7 turned to what's called exposure-based monitoring, where  
8 you actually pick the sample up from the breathing zone.  
9 NIOSH has done this for decades and decades.

10

11 FRANK EHRENFELD: An activity base?

12 AUDIENCE MEMBER 4: Activity-based monitoring.

13 If you need a way to simulate that, the fluidized bed,  
14 which Martin, I think, also mentioned this morning --is  
15 a, you know, a close rendition of that for solid- phase  
16 sampling.

17

18 FRANK EHRENFELD: I see a few show of hands.

19 Let's keep moving with that, but I would submit that in  
20 its purchased form, lipstick is not going to cooperate  
21 but, certainly, powder would. Steve (ph)?

22 STEVE: That's exactly what I was going to

1 ask, is how do you feel about some kind of an  
2 application so that we're collecting an air sample as  
3 opposed analyzing the bulk product.

4 AUDIENCE MEMBER 4: See, I think you're -- you  
5 -- again, there are situations where you want to  
6 analyze the bulk and you don't really care what the  
7 disturbance to the sample is because you want to know  
8 the weight or whatever; but I -- it's hard for me, as a  
9 toxicologist, to think of a way that you couldn't  
10 simulate the exposure. If you fix this lipstick you're  
11 concerned about, you want to collect that sample off  
12 the lips of someone who used that sample. (Audience  
13 laughs.)

14 AUDIENCE MEMBER 4: Is this a personal -- is  
15 this a personal reflection?

16 AUDIENCE MEMBER 3: It happens. It happens.

17 FRANK EHRENFELD: Okay. We have a number of  
18 hands up. I want to keep moving.

19 AUDIENCE MEMBER 5: I've done a number of  
20 contact samples, and so much of what you get has --  
21 unless it's a straight-up talcum powder, which often  
22 isn't, has a lot of other materials in there that you

1 will not be able to analyze that sample unless you do  
2 something to get rid of those. I've seen where it's up  
3 to 90 percent of the materials, and there's waxes,  
4 there's cellulose, there's coloring in there. So --  
5 and then the process of getting rid of that is going to  
6 grab microproduction. You're gonna burn the sample.  
7 Other times we can alter some sonication involved with  
8 it to try to free it up. That's going to change the  
9 nature of the fibers, but the task of the lab is often,  
10 "Tell me what's in there and how much of it is in  
11 there." So we have a different concern than you do,  
12 but there's often not a way for us to determine what's  
13 in there without altering the sample.

14 AUDIENCE MEMBER 3: I get that. I get that.  
15 And don't --

16 AUDIENCE MEMBER 5: Separation --  
17 (Crosstalk)

18 AUDIENCE MEMBER 3: Let me just quickly  
19 respond to that.

20 FRANK EHRENFELD: Very aggressive.

21 AUDIENCE MEMBER 3: Let me just quickly --

22 FRANK EHRENFELD: Follow up to that and we're

1 done.

2 AUDIENCE MEMBER 3: -- respond to that. It's  
3 common in my world that the matrix for the poison is  
4 always a problem. It's always different. I mean, if  
5 you're looking at pure product, this is going on  
6 glyphosate, which is a big problem right now. We look  
7 at -- if you go to the hardware store and we get 15  
8 different formulations of glyphosate, they're all  
9 different and they all have different toxicities.  
10 That's the only point I'm trying to make.

11 FRANK EHRENFELD: Yep. Okay. Gary.

12 GARY: Well, you just bring up a good point.  
13 So you're on -- let's say you're out on a cosmetic --  
14 I'd say in a wax matrix. So the process, the  
15 formulation, the people that made that are making --  
16 they have a process; and they're saying that, to the  
17 best of their knowledge, that product is uniformly wax  
18 coated. So it's actually almost like encapsulating even  
19 the potential problem that you're talking about. So you  
20 would always look at the material as is. That's the way  
21 I approach everything. I don't care if I got rocks,  
22 whatever. I do studies, I look at it

1 incrementally. That's the way I educated myself on what  
2 -- how to do things during sample preparation. If you  
3 remember the original Crayola problem, 2000-2001, they  
4 did a study. What did they do? They sat there and they  
5 got a Crayon and they went like this, and guess what?  
6 They found nothing. Why? It's in it. It's in a matrix  
7 that will not release it. Even though you would burn it  
8 off, ground measure it, reduction,  
9 (inaudible), quote, transition structures, whatever, it  
10 never was going to be released. And I thought, so it is  
11 product specific here with some cases, so you have to  
12 use common sense in how we approach things. Now, if you  
13 go back, it's the provider of the raw material of the  
14 talc --

15 FRANK EHRENFELD: Yeah. Go ahead and finish  
16 that up.

17 AUDIENCE MEMBER 3: Okay. I didn't know if  
18 Sean had a problem, but --

19  
20 FRANK EHRENFELD: No. No. No. Sean does  
21 have a problem.

22

1 AUDIENCE MEMBER 5: It's not my usual problem.

2 AUDIENCE MEMBER 3: All right.

3 (Crosstalk)

4 AUDIENCE MEMBER 3: So there it's on -- you  
5 know, it's the producer's problem up front to do the  
6 analytical characterizations prior to the end use  
7 consumer product, okay? And I understand what you're  
8 saying.

9 FRANK EHRENFELD: God's given me about three or  
10 four other hands up, Greg. I'll get to you in a second.  
11 We'll do Sean next, but maybe we can also say this:  
12 Perhaps the exposure side of this is another issue and  
13 the detection, the technologies, the techniques, the  
14 prep, the homogenization that might have to be used to  
15 do what you're charged to do how much is in there --  
16 right? -- and what is it may have to be a separate type  
17 of technique, but well noted.

18 Okay. Sean.

19 SEAN: Well, that's a good segway. The  
20 problems with your segway: We've got a product, and  
21 why do we suspect that there might be asbestos in the  
22 first place? Because it had talc in it, all right? In



1 testing, like you said, Andreas, thousands of cosmetics  
2 that's made in a laboratory. Because of their recent  
3 issues, do we see it when mica is the number one  
4 ingredient? Rarely, if ever. Do we see it when talc is  
5 not listed as an ingredient in those cosmetic? Rarely,  
6 if ever. The issue is asbestos in the talc, and we know  
7 that that's plausible.

8           So we did testing by burning a piece of those  
9 Crayola Crayons back in the day, and we found the talc  
10 was from RT Vanderbilt and it did have anthophyllite and  
11 tremolite in the Crayons, so it's in there. Now the  
12 question Chris was asking is answered by the test that  
13 you're alluding to, where you took a Crayon, rubbed it  
14 all over you, took air samples, found out if regular use  
15 is really going to be suffice. Well, that's -- I think  
16 what we need to do every time we deal with asbestos in  
17 cosmetics, just like we did with asbestos in crayons.  
18 First thing we need to establish is whether or not there  
19 are releasable --potentially releasable, countable,  
20 asbestos structures in product. So the first thing you  
21 got to do is get rid of anything that might be  
22 interfering. So there

1 you have your -- first make sense.

2 FRANK EHRENFELD: I got it. So then you go do  
3 the Karate Kid method -- wax on, wax off.

4 SEAN: Wax off. Only wax.

5 Okay. Robert.

6 ROBERT: Well, I just wanted to say I was  
7 involved with the OSHA regulations concerning cleavage  
8 fragments, and when you read what came out in the  
9 federal registry, OSHA said you should actually use a  
10 mineral science to define what fibers are. In whatever  
11 the lung sees, it has nothing to do with whether or not  
12 -- what the mineralogical identification of the fibers  
13 are. If the cleavage fragments were carcinogenic, they  
14 would be in a cleavage fragment standard. You don't  
15 make cleavage fragment asbestos because they cause  
16 mesothelioma. We're not going to make erionite asbestos  
17 because it causes mesothelioma.

18 In this question, miles continues to persist  
19 in this area but OSHA clearly did not want to regulate  
20 cleavage fragments as asbestos. They didn't say they  
21 were safe, but they didn't want them to meet asbestos  
22 standards. So I finally see the biological properties

1 are separate from the mineral properties. This is a  
2 cleavage fragment. It's a minerological definition, and  
3 then there's the biological definition of the health  
4 effects. Because the cleavage fragments, they tried  
5 really to kind of convince you they were the same as  
6 asbestos. So they were going to do it by analogy. They  
7 didn't have the respirable analytical data or you do the  
8 data that shows response to the (inaudible).

9 AUDIENCE MEMBER 6: Which outcome are we  
10 trying to protect from? Is it cancerous side or the  
11 noncancerous side?

12 ROBERT: Well, you're obviously trying to  
13 protect from both, but you should use mineral science  
14 to define what the minerals are.

15 AUDIENCE MEMBER 7: Yes. So if you're gonna -  
16 - if there's like a court case or something, when you  
17 go to court, the first thing you're going to have to  
18 establish is what is in the starting material and it  
19 has to be reproducible and verifiable. So then when  
20 you -- the next step is on the exposure, which is what  
21 you're talking about. That opens like endless areas of  
22 argument between multiple sides. Well, how -- does

1 that really simulate the exposure? You know, so the  
2 starting point is you have to have a bulk analysis and  
3 then you have to move on to the exposure.

4 FRANK EHRENFELD: And I think that is the --  
5 what we are charged to help have some sort of consensus  
6 here today.

7 Greg.

8 GREGORY MEEKER: Two comments. What if the  
9 kid eats the crayon? (Audience laughs.) And then on  
10 the cleavage fragment issue, once it's identified as a  
11 cleavage fragment, it's ignored by a lot of people.

12 And --

13 AUDIENCE MEMBER 2: Once it's identified as a  
14 cleavage fragments, it's ignored by a lot of people.

15 GREGORY MEEKER: Once someone says, "This is a  
16 population of cleavage fragments," then everyone  
17 assumes, oh, it's not a problem. We don't have to  
18 worry about it.

19 FRANK EHRENFELD: Right. Which, again, Greg  
20 gets back to, hey, what does my method or SOP say? If  
21 I'm a bench analyst, am I counting it, not counting it,  
22 bending it? Do I count everything? But, yeah, I

1 agree with you. A lot of that stuff's probably  
2 ignored.

3 I have one down here, then I'll get the back.

4 Greg, anything else to finish up that thought?

5 GREGORY MEEKER: Well, no. (Audience laughs.)

6 FRANK EHRENFELD: That gets us back to the  
7 quote that I had from you earlier, which is: "To what  
8 extent do we have to -- can we protect the public  
9 health without regulating everything?"

10 GREGORY MEEKER: I mean, if it's long and  
11 thin, it's probably going to behave the same way. I'm  
12 sorry. If it's the same size, same shape, it doesn't  
13 matter what you call it.

14 FRANK EHRENFELD: Yeah.

15 GREGORY MEEKER: No one has shown that, that I  
16 know of.

17 AUDIENCE MEMBER 2: Lee, I want to the back  
18 just to the different analytical methods and kind of  
19 coming up with this industry is a "TEM snob." "TEM's  
20 the best." I've come to realize -- the example I told  
21 over lunch, where I'm looking at Nyal, and I -- if I'm  
22 friends with anthophyllite, you're having a hard time

1 finding asbestiform tremolite, but then you run it by  
2 XRD, which everyone agrees it's got horrible  
3 sensitivities; it's worthless; you can't use it; and it  
4 tells you that it's about 55-60 percent tremolite,  
5 which I never saw unless I'd run it by XRD. The point  
6 I'm getting at is all these tools -- you know, PLM  
7 gives you a population. It helps you to find the  
8 population of asbestos that's in that material.  
9 Electron microscopy will show you a completely  
10 different population of fibers that's possibly in or not  
11 in that material as does XRD; and even the prep methods,  
12 you know, there's a big push right now with the heavy  
13 liquid separation which would -- talc works well for,  
14 say, iron-rich species -- tremolite or cummingtonite.  
15 It will -- it's effective for that, but you'll never  
16 find an anthophyllite that doesn't have iron in it.  
17 You're not going to find chrysotile using heavy liquid  
18 separation, so you have to go back to the EPA 600 or  
19 behind a tree to have any hopes of finding this. So I  
20 guess -- that's the only point I'm making is there's not  
21 a simple -- a lot of people say, well, you know,  
22 asbestos is just one thing. Which method is

1 the best? And really, depending on the -- with  
2 something like talc, it takes every tool we have in the  
3 tool box to even get close.

4 FRANK EHRENFELD: So can I reiterate that to  
5 say that all these tools can be used, they each have  
6 advantages, disadvantages, and it's gonna have to be  
7 matrix specific as well?

8 AUDIENCE MEMBER 2: I would -- to get to the  
9 right answer, all of those -- all the tools available  
10 to us need to be utilized, including things like,  
11 potentially, gravimetric reduction.

12 FRANK EHRENFELD: And unlike analyzing for  
13 asbestos in a ceiling tile or a floor tile, this is not  
14 going to be some 5-dollar light microscopy method. And  
15 so those that will be providing these services have to  
16 somehow differentiate themselves from those who are  
17 doing this routinely on building materials I imagine.  
18 That then gets us back to where are the reference  
19 materials.

20 Yes, sir.

21 AUDIENCE MEMBER 8: Well, I was saying that.  
22 You just said what I was going to say. I mean, as a

1 retired analytical chemist and toxicologist, the thing  
2 that scares me to death is Martin's talk where he says  
3 there's not very many standards even left out there.  
4 Some of them are buried out in South Africa somewhere;  
5 and you know, without standards, we can't qualify the  
6 methods we're using that drives the narrative, that  
7 takes the court action, that -- it won't stand up. So  
8 where are we going with this?

9 FRANK EHRENFELD: Well, this is where it gets  
10 back to either FDA or JIFSAN or somebody to say -- or  
11 USP to say, okay, manufacturers of cosmetics formulate  
12 these or get us RTI; and say, hey, RTI, we're going to  
13 provide you with a five-gallon pail of our base  
14 material; and if you could spike or blend in fractured  
15 Lone Pine tremolite at a certain percentage -- because  
16 we need to have some studies done as far as what's the  
17 recovery of certain methods based upon the size of  
18 fibers and a multitude of other variables on the  
19 analytical side.

20 AUDIENCE MEMBER 2: Right.

21 AUDIENCE MEMBER 9: A couple questions that  
22 are -- it's more of a question to the analysts. First



1 of all, what is the definition of cosmetic talc? And  
2 what type of products -- I mean, baby powder, lipstick.  
3 But what kind of products are we talking about?

4 FRANK EHRENFELD: Sean? Gary?

5 SEAN: Yeah. Those two should answer that  
6 question --

7 FRANK EHRENFELD: Okay. Yeah.

8 SEAN: -- as far as what defines cosmetic,  
9 yeah.

10 GARY: Physical, chemical, mineralogical.

11 SEAN: It doesn't matter.

12 FRANK EHRENFELD: Well, I mean --

13 SEAN: Question: How do we -- give us your  
14 definition because I have doubts.

15 FRANK EHRENFELD: A certain purity but what is  
16 that based on?

17 GARY: Well, there's -- they're all --

18 AUDIENCE MEMBER 6: They're in their new  
19 standards, probably the USP Standard is the one that we  
20 use most of the time. To turn in the quality, it's  
21 typically a certain pure --

22 GARY: It's also particle size to the cosmetic

1 --

2 STEVE: Physical.

3 GARY: I believe it's about 90 percent or  
4 greater talc -- the mineral talc.

5 That's two

6

7 hundred mesh or less, particle size.

8 FRANK EHRENFELD: Platy talc?

9 GARY: And they do allow certain other  
10 constituents like chlorite in talc but not above a  
11 certain limit.

12 AUDIENCE MEMBER 6: I can give you the  
13 definition if you want it as a reference.

14 AUDIENCE MEMBER 4: Yeah, I do.

15 AUDIENCE MEMBER 10: CTFA did issue several  
16 years ago, a definition of what cosmetic talc is.

17

18 AUDIENCE MEMBER 4: Yeah.

19 AUDIENCE MEMBER 10: I don't know whether  
20 that's changed over time, but --

21 AUDIENCE MEMBER 2: And it's not --

22 (Crosstalk)

1 AUDIENCE MEMBER 2: It doesn't -- it has  
2 nothing to say that it has to be 99 percent.

3 FRANK EHRENFELD: If I can have your  
4 attention, please.

5 AUDIENCE MEMBER 2: CTFA or the USP monograph,  
6 if you look at the attributes, there's many attributes.  
7 You look at it. You're ranging between 82 to 85  
8 percent or better talc. The rest can be chlorite,  
9 carbonates, and other accessory minerals.

10 AUDIENCE MEMBER 6: Yep.

11 AUDIENCE MEMBER 2: CTFA is a little higher  
12 standard, probably more like 90 percent -- 92 percent,  
13 but it has nothing to do with you have got to have  
14 99.99 percent talc to be cosmetic or pharmaceutical.

15 STEVE: Okay.

16 AUDIENCE MEMBER 2: There's physical  
17 attributes that have to be met as well --

18 STEVE: Right.

19 AUDIENCE MEMBER 2: -- which are even more  
20 important in some respects because of its properties  
21 are used in an end-use consumer.

22 BRAD: And platy --

1 FRANK EHRENFELD: Okay. Hold on. One at a  
2 time. Brad, does that answer your question or at least  
3 part of it?

4 BRAD: Not quite. Platy -- because if it were  
5 fibrous, it wouldn't -- or could it still qualify?

6 BRAD: Yeah. Playtiness, obviously gives it -  
7 - the word is liden (ph), you know --

8 STEVE: Lubricity .

9 AUDIENCE MEMBER 7: It wouldn't get very high  
10 quality talc --

11 BRAD: Yeah.

12 AUDIENCE MEMBER 7: -- if it was in what  
13 you're talking about.

14 AUDIENCE MEMBER 2: That's what I thought.  
15 And then what cosmetics does it end up in?

16 GARY: There's a lot.

17 AUDIENCE MEMBER 2: A lot?

18 AUDIENCE MEMBER 6: Industrial probably has a  
19 --

20 (Crosstalk)

21 GARY: A lot of different types.

22 AUDIENCE MEMBER 6: -- because of -- I

1 apologize -- but I mean, it's different -- but it's  
2 different monographs. We're not -- we're not  
3 (inaudible) cosmetic talc. They're the ones that would  
4 have fibrous talc.

5 FRANK EHRENFELD: So I'm also conscious of the  
6 time that we have right now. We're trying to make sure  
7 that we cover multiple aspects. Okay.

8 So thank you for your volunteering just for  
9 the group here. You get a receipt on the wait out.  
10 (Audience laughs.) Robyn's gonna have a question for  
11 Catherine.

12 ROBYN RAY: Yeah, just for clarification for  
13 the purposes of this discussion. Do you want the  
14 definition of the official USP Standard for talc?

15 AUDIENCE MEMBER 2: From USP?

16 ROBYN RAY: Yeah.

17 AUDIENCE MEMBER 2: Sure?

18 ROBYN RAY: Okay. I can get you that.

19 AUDIENCE MEMBER 2: Okay.

20 STEVE: That's the CTFA definition for  
21 cosmetic talc. The department --

22 FRANK EHRENFELD: It's probably very close to

1 that but --

2 GARY: Yep.

3 FRANK EHRENFELD: As we know in this industry,  
4 every word --

5 ROBYN RAY: Oh, believe me, USP --

6 FRANK EHRENFELD: -- every comma counts.

7 ROBYN RAY: -- every word counts.

8 FRANK EHRENFELD: Absolutely.

9 Martin?

10 MARTIN RUTSTEIN: Gary mentioned a few minutes  
11 ago other dangerous things in this product, in  
12 cosmetics? I Googled it. I got five hits on 10 to 12  
13 dangerous things that cause -- things you should be  
14 aware of, bla, bla, bla. Only one of them in Australia  
15 mentioned talcum powder. They say the evidence was  
16 very weak.

17 The others are witches brew of organics and  
18 inorganic compounds, especially the oleander, that are  
19 problematical. So I suggest if you go looking at  
20 cosmetics, you're not going to look at the list of the  
21 stuff that they put in there. Woman have to be crazy  
22 to put this stuff on -- people have to be crazy --

1 ROBYN RAY: Not crazy.

2 MARTIN RUTSTEIN: Look how quick her --

3 (Audience laughs.)

4 MARTIN RUTSTEIN: I'm not shaming you.

5 Please.

6 ROBYN RAY: Uh-huh.

7 MARTIN RUTSTEIN: This stuff is really a

8 witches brew.

9 FRANK EHRENFELD: Okay.

10 AUDIENCE MEMBER 9: I think he was looking at

11 this.

12

13 FRANK EHRENFELD: Yes.

14 MARTIN RUTSTEIN: Well, I'm working on it.

15 FRANK EHRENFELD: So I would like to turn our

16 attention now to a couple other things, again, because

17 of the time. And that is the analytical technique

18 and/or technologies that would be used. We've heard

19 about some of the prep and some of the pluses and

20 minuses, how it could be used, how it could be limited,

21 how it can be aggressive, or how maybe it shouldn't be

22 that aggressive if we want to preserve what might be in

1 that product.

2 Let's talk about the technology. We saw some  
3 PLM micrographs up here today. We saw SEM, XRD Spectra;  
4 of course, TEM.

5 Pluses and minuses, hey, use them all. By the  
6 way, if you're going to use them all, have a disclaimer  
7 saying you didn't find anything with, you know,  
8 technique one, in order to confirm you need to also use  
9 technique two and three. Any thoughts from the group  
10 here today about the technologies and techniques?

11 GARY: Now, we heard a lot of this earlier  
12 about the advantages and disadvantages.

13 FRANK EHRENFELD: Right.

14 GARY: And I -- I guess I go back to what Dr.  
15 Wylie was saying, her talk about, you know, the ability  
16 of an experienced person by PLM, to pick up, evaluate a  
17 sample that way. Being a TEM guy, you know, I would  
18 also look at it by TEM, but I would not do one without  
19 the other.

20 FRANK EHRENFELD: Right. I agree. You can  
21 miss stuff with TEM. Martin said that, you know, you  
22 might have structures that are far greater than not



1 only just a field of view but multiple grid openings  
2 sometimes.

3 Also, if you knew that it might contain  
4 asbestos, I don't think anybody would say, "I looked at  
5 it by light microscopy. I'm done."

6 The other thing that Ann also indicated was,  
7 if you want to get a good reading on the width of those  
8 potential fiber structures, you have to use TEM.

9  
10 GREGORY MEEKER: I think width is an important  
11 dimension that she brought up today that you can also  
12 find with PLM as well as TEM. She's tying that to what  
13 is known to be cause mesothelioma and other diseases,  
14 but the width I think is a good indicator and I think  
15 she brought up that.

16 FRANK EHRENFELD: And TEM would needed to  
17 discover those widths?

18 GREGORY MEEKER: Those thinner widths.

19 FRANK EHRENFELD: Yes. Okay. I have one here,  
20 and then I have two more over here. Yeah.

21 And this is just one question. Is there a process that  
22 allows the views -- a preferable process running

1 through these techniques? I mean, do you do TEM first?

2 Do you do XRD first? Do you do PLM first?

3 FRANK EHRENFELD: I start with XRD, go to PLM,  
4 and then end with TEM.

5 GARY: So there's a decision tree involved in  
6 that?

7 FRANK EHRENFELD: For me, no. I do it all the  
8 same.

9 GARY: Same here. I do all three.

10 FRANK EHRENFELD: I had Sean and somebody  
11 else with a hand up. Sean.

12 SEAN: Yeah. Quickly, with what Ann found  
13 the tremolite in her closet, right?

14 FRANK EHRENFELD: Right.

15 SEAN: So does the room agree that if we looked  
16 at it by electron microscopy, it's possible that we  
17 could see countable asbestos structures by EM where she  
18 only saw blocky stuff by ---?

19 GARY: Well, as she pointed out -- she  
20 answered the question twice. By TEM, you would count  
21 that bundle. If you saw it by TEM you wouldn't try to  
22 discriminate the individual fibers in that bundle,

1 right?

2 MARTIN RUTSTEIN: I don't think that's what he  
3 asked.

4 SEAN: No that's not what I'm saying.

5 GARY: What she was saying was that you would  
6 expect to find discrete same fibers in an asbestos  
7 containing sample if you looked at it by TEM as well as  
8 PLM, but with PLM resolution, you're likely to see more  
9 of those bundles.

10 FRANK EHRENFELD: Sean.

11 SEAN: I was just saying that she found  
12 tremolite in and out in her product. Does the room  
13 agree or disagree that it's possible that there would be  
14 countable structures findable by electron microscopy in  
15 that same container?

16 GARY: I agree. And I think for all of those  
17 who have done that -- worked with an EM, you can go,  
18 yeah.

19 ROBERT: That's in every matrix, not just talc  
20 and cosmetic.

21 GARY: Right.

22 STEVE: Every single type of sampling we do

1 for asbestos, they're what you see by optimal  
2 microscopy is an indicator. Yeah. You might have a  
3 high percentage, but if you do it by TEM, you're going  
4 to see a lot more.

5 FRANK EHRENFELD: Okay. One at a time.  
6 Steve.

7 STEVE: And that's why in that decision tree  
8 process that we were just talking about I always start  
9 with TEM because of all the reasons that we're talking  
10 about there. That's the one that's most likely the one  
11 to find countable asbestos fibers. If I find it there,  
12 if it's positive -- and that's the question at hand --  
13 is it there? There's no other test that's going to get  
14 overrule that.

15 GARY: Well, I got a clean exit then.

16 FRANK EHRENFELD: This is just an opportunity  
17 to have this esteemed panel. Is there a consensus on  
18 what diameter asbestos bundle can be resolved by  
19 polarized light microscopy?

20 GARY: Well, there's -- you can do the  
21 calculation for the limits of light and magnification.

22 FRANK EHRENFELD: Back before you were born,

1 Ian Stewart wrote a description of the inability to  
2 measure optical properties on fibers narrower than one  
3 micrometer. So you can see it, but you don't know what  
4 it is. So I think one micrometer is the boundary where  
5 you can determine the optical properties.

6 GARY: So there's two full questions. But you  
7 can see the 1 micrometer fiber. You just can't --

8 FRANK EHRENFELD: Not a 0.1.

9 GARY: Right. Okay.

10 FRANK EHRENFELD: Yeah. Okay. We have Allen  
11 and then we have Andrew.

12 AUDIENCE MEMBER 8: All right. I was going to  
13 say the same thing as Jim.

14 FRANK EHRENFELD: Okay. So then Allen and then  
15 back to you.

16 ALLEN: I'm trying to remember my thought  
17 here.

18 AUDIENCE MEMBER 10: We're both named Allen.  
19 (Audience laughs.)

20 ALLEN: Going back to PLM, you know, again,  
21 the value to me by PLM is, again, that example Jim just  
22 brought up with the, you know, one micrometer width.

1 You would expect if you had asbestos in a bulk sample  
2 looking at such a large amount of material, you would  
3 see other particles, and that goes to the population  
4 characteristics of the sample.

5 By TEM, I disagree if you use a founding  
6 protocol, then you see one or two fibers that meet that  
7 protocol, you have now confirmed asbestos when you deem  
8 most of this top material comes from nonasbestiform  
9 contamination. Again, going back to PLM if you have a  
10 population or even further analysis -- by TEM if you  
11 have a lot of particles, the width factors that were  
12 brought up today by TEM comes to play, and I think you  
13 can apply that and start to make some sense of what  
14 you're actually seeing.

15 FRANK EHRENFELD: Okay. Can we boil that down  
16 to, hey, in an analytical method in Section 16, we have  
17 to apply this -- you have to count so many particles to  
18 actually officially say that you have this hazardous  
19 fiber?

20 ALLEN: Well, you have to. What if you looked  
21 at it by TEM and you didn't see anything and you put it  
22 on PLM and you saw a large particles. Now you've

1 characterized the whole population.

2 FRANK EHRENFELD: Okay. Allen.

3 ALLEN: Okay. I guess the question I have is:  
4 Should the -- or a question maybe -- it has to do with  
5 this analytical technique. Should the FDA fund -- put  
6 out a solicitation for civil labs to develop a protocol  
7 -- I'm thinking of TEM -- such that the issues that came  
8 up in the RJ Lee Group letter that was part of the  
9 materials wouldn't arise or would solve that dilemma?  
10 And that's the question I have.

11 FRANK EHRENFELD: Okay.

12 ALLEN: Are you going to just allow that?  
13 Because if you don't have a specific technique, that's  
14 going to come up over and over and over again.

15 FRANK EHRENFELD: Absolutely. Let me -- let me  
16 sort of promote the ASTM way. (Audience laughs.) So  
17 Catherine -- most everybody in here is related to USP or  
18 has been on one of those panels. There's a lot of ASTM  
19 members here as well.

20 One of the things that ASTM has over ISO  
21 methods is that we require an inter-laboratory study to  
22 determine precision and bias and certainly

1 reproducibility and repeatability and confidence.

2           So at the end of the day, yes, Allen. If --  
3 should some group fund a study to determine, the answer  
4 is yes, but if you heard Martin Harper, he would say,  
5 "Yeah. But can we first start with the toxicologist so  
6 that we can determine which small piece of this or that  
7 is actually maybe causing the disease before we even go  
8 there?" And yet at some point, whether it's a PLM,  
9 TEM, XRD, combination, perhaps a study per matrix needs  
10 to be involved; and maybe that's where they go to RTI  
11 and they say, "Hey, we're ending a study down the road  
12 or SRI out in California. It's going to be cosmetic  
13 talc. Can you start getting this out to reference  
14 laboratories, and FDA is paying the bill," or something,  
15 but the answer is yes. To what extent I think is the  
16 follow-up on that one.

17           Catherine.

18           CATHERINE: Yeah, Frank, just to follow up, so  
19 to put it into perspective how USP are at the meeting  
20 today, back in 2010, the CDER part of FDA submitted to  
21 USP several letters for request to strengthen specific  
22 monographs. One of those was the talc USP



1 monograph. At the time you recall there were several  
2 fatalities where the supply chain had been adulterated  
3 with the heparins, the glycerins. This was kind of the  
4 next phase of FDA approaching USP to put in more  
5 specific methods.

6 So the purview of USP is quality. It is not  
7 safety. It is not toxicology. Our goal within the  
8 panel is to come up with a method that will replace the  
9 existing method in the USP talc. So that is the scope  
10 of our work. The panel definitely can give you a lot  
11 more information in terms of, you know, the progress  
12 they have made towards getting that proposal out there;  
13 but from -- you know, from my exposure today -- pardon  
14 the pun -- I feel that we definitely need to engage all  
15 stakeholders before we put that revision proposal out  
16 in PF because I think it would be very beneficial to  
17 the panel and our expert committee to get feedback on  
18 the proposal that we will be putting in, in terms of a  
19 new method.

20 So I put that out there today that USP will  
21 consider some kind of a convening invitation for all  
22 stakeholders to give us comment on the proposed method

1 that we're putting in there. I think it's important.

2 FRANK EHRENFELD: Okay. I'll take one more  
3 question, then I need to slightly change the theme  
4 before we move forward. Yes.

5 AUDIENCE MEMBER 1: Yes. I wanted to bring up  
6 the topic you mentioned about ASTM. So before going to  
7 a test method which is going to be very specific using  
8 TEM, SEM, it could have a value that can have these  
9 steps that (inaudible) preparation of the sample if it  
10 is a -- just the material, the raw material kind of  
11 characterization versus actually in the product. So what  
12 I am hearing is that we're going on a case topic on the  
13 product containing the asbestiform or the methods for  
14 that -- the quantitative methods?

15 FRANK EHRENFELD: If methods that are being  
16 currently in development for ASTM, qualitative and  
17 quantitative for asbestos in talc, mineral assemblages,  
18 I think.

19 AUDIENCE MEMBER 3: Mineral powders?

20 FRANK EHRENFELD: What's that?

21 AUDIENCE MEMBER 3: Mineral powders?

22 FRANK EHRENFELD: Mineral powders. I'm sorry.

1 Correct. So we're working on some of these obstacles  
2 and challenges. Are you saying, hey, can you just have  
3 a prep method and then maybe can you just have a suite  
4 of methods working. Just do them all. Make sure that  
5 this method A, you say, hey, if that's not good enough,  
6 we have to use these other ones to at least eliminate  
7 all the possibilities?

8 AUDIENCE MEMBER 1: Yeah. So my challenge and  
9 we have almost all the (inaudible) to do all those, and  
10 we work in a nanoscience lab and we work in a nano size  
11 range not in a micro size range

12 FRANK EHRENFELD: Okay.

13 CATHERINE: Be a snob. (Audience laughs.)

14 AUDIENCE MEMBER 1: I have a challenge in,  
15 let's say, using an SEM or a TEM. If I quantitated my  
16 -- it is quantitative. We get excellent structural  
17 details using EES calculation analysis, but if you give  
18 me a talc product and then ask me, okay, take a gram of  
19 this, tell me how much of this asbestiform is present,  
20 this will be qualitative, not quantitative.

21 FRANK EHRENFELD: Right. I -- many of us here  
22 today will disagree with you. I'll give one person the

1 opportunity.

2 Sean?

3 SEAN: Nuts. Thank you. (Audience laughs.) We  
4 have to realize that there's some unknown problems, but  
5 this doesn't necessarily correlate to exposure. But  
6 there's a -- it gives us some sort of idea potentially.  
7 If we have a talc product that contains 7,000 countable  
8 asbestos structures per gram, it's much less likely in  
9 the same matrix as one that has 7 million asbestos  
10 structures per gram. So if we do do a quantification  
11 based on countable structures observable in the bulk  
12 material, not necessarily percentage, we are able to then  
13 know which ones are more likely to release asbestos, then  
14 we can move on to the top space where we actually  
15 simulate use. FRANK EHRENFELD: I have to move on to  
16 a slightly different theme, if it is real quick.

17 AUDIENCE MEMBER 4: It is quick. The  
18 structures per gram number that is used quite often in  
19 talc analysis now can be manipulated into anything you  
20 want it to be. You can find one big tremolite  
21 structure, calculate its mass and then translate that  
22 into a millions of the tiniest things you can possibly

1 see and then extrapolate that into structures per gram  
2 and you only saw one big structure -- not you. But I'm  
3 only saying this because I -- I saw this exactly done  
4 in a report I reviewed.

5 FRANK EHRENFELD: Okay. So that falls under  
6 that category we had under reporting.

7 AUDIENCE MEMBER 4: I know.

8 FRANK EHRENFELD: Right? To what extent are  
9 we going to report our data? To what extent will be  
10 qualitative or quantitative and what might be the  
11 result and in what form?

12 Okay. I need to get into another -- a final  
13 theme before we go forward. When the NIOSH roadmap was  
14 introduced and the elongated mineral particle concept  
15 was put out there -- now ten years ago, maybe more --  
16 Jim Weber was present then in DC, and he purposed,  
17 slightly in the back, that it -- actually not just be  
18 EMP but be hazardous elongated mineral particles; and  
19 when they broke hemp on the board they realize that  
20 that wasn't going to fly. I. (Audience laughs.)

21 GREGORY MEEKER: I moved to Oregon.

22 FRANK EHRENFELD: That being said, we have to

1 make sure that we are true to our charge; and the  
2 charge here today from JIFSAN is -- if you move me back  
3 to slide one -- is for mineral fibers, right? Mineral  
4 fibers in cosmetics. So how does -- if we leave out  
5 that word "asbestos," how is that changing the  
6 complexion of anything we discussed? Meaning, hey,  
7 what about that ribbon talc? To what extent would that  
8 method capture that? What about those -- that Jim Weber  
9 or Millette -- I think Marty or somebody had a reference  
10 to the Millette 2015 --

11 MARTIN RUTSTEIN: Kinky Talc.

12 FRANK EHRENFELD: Kinky talc. Everybody  
13 perked up when somebody said "kinky." So but to what  
14 extent are these elongated mineral particles going to  
15 change the dynamic and the content of what we talk  
16 about today? Anybody? Yes.

17 SEAN: Let me just make a bold statement, and  
18 then I wish I was sitting closer to the door.

19 (Audience laughs.)

20 CATHERINE: We'll give you a head start.

21 SEAN: Any elongated rock that makes its way  
22 into fiber cleavage fragment particle, it makes its

1 way, whether we realize or not, is going to cause  
2 inflammation. That is the initiation of a series of  
3 biochemical steps that can lead to lethal lung disease,  
4 cancer, or mesothelioma.

5 FRANK EHRENFELD: Okay.

6 SEAN: And so that's your target.

7 FRANK EHRENFELD: Right.

8 AUDIENCE MEMBER 7: Can I say --

9 FRANK EHRENFELD: Is it respirable? Hold on.  
10 Hold on.

11 SEAN: If its aspect ratio is correct, it's  
12 respirable.

13 AUDIENCE MEMBER 6: I guess my point is in the  
14 absence of the full mechanism, should we be reporting  
15 as much data as possible at every step? Not just what  
16 fiber -- like, okay, here's fiber retail. Here's fiber  
17 of tremolite. Then just keep recording as much data as  
18 possible so in 20 years down the line, we've gotten  
19 closer and closer. But we're losing time by not  
20 recording, I think, as much data as possible; and I  
21 think that this is the time to try to narrow that down.

22 FRANK EHRENFELD: Which brings us back to what

1 Greg's talking about earlier in your presentation. At  
2 some point -- and if you're a microscopist, you don't  
3 want to have to put that sample back in later. You  
4 want to get it all out of the way. So whatever is  
5 underneath that scope at that time, you want to count,  
6 analyze, characterize, whatever the case may be so you  
7 don't have to --

8 AUDIENCE MEMBER 6: You can thin out  
9 concentration any way you want, any size fiber you  
10 want.

11 FRANK EHRENFELD: And so then you have the  
12 data, okay? So if down the road there's a decision  
13 that, you know, ribbons of kinky talc wearing red boots  
14 are a problem, you have data to capture that. Brad.

15 BRAD: The good news is if you're gonna -- if  
16 we're going to stick to the discussion of talc, you're  
17 not going to find a wide variety of fibrous minerals.

18 AUDIENCE MEMBER 6: Okay. The actually  
19 finished product, like a lot of the talc-- a lot of the  
20 products that we've analyzed, I've seen in retail  
21 fibers left in them. There was stuff that they added to  
22 it that we're not -- they're all lost



1           AUDIENCE MEMBER 3: I keep thinking about rock  
2 and stuff --

3           FRANK EHRENFELD: Yeah. You thinking about a  
4 talc -- a talc deposit.

5           AUDIENCE MEMBER 3: I wouldn't put it on my  
6 face.

7           FRANK EHRENFELD: Instead of the talc deposit  
8 thing, cosmetic talc. Sean and a couple others, and I  
9 think we're going to try to sum up.

10          SEAN: Looking at a lot of these, what's the  
11 most common mineral fiber that you find in talc? Talc.  
12 All right. There's two ways it can be fibers. It can  
13 be this kinky stuff which is ribbon-y. It's more like  
14 --it exhibits its platy nature and the bends of white  
15 kinks. All right? It's still talc, and then you have  
16 blocky talc which is more often than not pseudomorphic  
17 after a fibrous parent. If it came from an tremolite or  
18 an anthophyllite parent, it looks like an anthophyllite  
19 tremolite and often can be intergrown with those mother  
20 minerals.

21          The other thing we see a lot when we have  
22 serpentine as a protolite is we see serpentine but more

1 often than not it's either antigorite or magnesium  
2 depleted chrysotile, which is actually, technically  
3 sepiolite. We see sepiolite all the time in talcs. So  
4 if we're going to look at all the known fibers that we  
5 see in talc. If we look at talc ore, it's very common  
6 to see fibrous talc -- either kinky or blocky. It's  
7 very common to see sepiolite, which has nothing to do  
8 with that thing. And then we start putting in  
9 particles we do often see -- the (inaudible) which is  
10 an interference.

11 FRANK EHRENFELD: I'd like to come up with a  
12 few nuggets -- bullet points here so that we can  
13 summarize this eventually. Robyn has produced a few  
14 here for us listening to the discussion. We have less  
15 alteration. The less alteration to the sample during  
16 prep, the better. Anybody vehemently disagree with  
17 that?

18 GARY: Yes.

19 FRANK EHRENFELD: Overruled. (Audience  
20 laughs.)

21 GARY: It's not elongated. It took Brad a  
22 long time to convince you. Now it's elongate, and it's

1 a fragment. It's a particular, not necessarily a  
2 fiber; and you can take a platy talc and braid it so  
3 that you get fragments parallel to the hexagonal  
4 structural framework. They're elongate. So these are  
5 particles. When we start calling them fibers or  
6 asbestiform, we're already loading the gun. I know what  
7 they are.

8 FRANK EHRENFELD: Right. And so to what extent  
9 would a method or an SOP either limit/censor --careful  
10 -- or allow or -- to use somebody's word --tolerate --  
11 Martin's word -- tolerate these odd type of particle  
12 populations? Okay? And that's in the report inside as  
13 well.

14 So we had -- it will take more than one  
15 technique. Are we pretty much in agreement? And, yes,  
16 Steve -- Steve's like, "I'm gonna write to TEM. I'm not  
17 wasting any time and money anymore right there." And yet  
18 we also have -- yet you might miss something or you get  
19 better be on the safe side, and quite frankly, a client  
20 might want the "peon potluck" method -- don't tell  
21 anyone I said that -- but before you go to TEM, which is  
22 the terribly expensive method. So I think

1 that was the only word I had.

2 We can go right to this other method but --

3 GARY: Sean got hammered by the feds with a  
4 big PowerPoint because he skipped the initial methods  
5 --

6 (Crosstalk)

7 FRANK EHRENFELD: And we've all seen Sean  
8 hammered. (Audience laughs.)

9 The people -- no, it was unfair. It was  
10 unfair. I think what happened was that it was a  
11 Johnson conference by a really wonderful young lady  
12 standing in the corner. It's a schematic as a  
13 flowchart. (Inaudible).

14 FRANK EHRENFELD: Okay. So I think we're going  
15 to go with that.

16 ROBERT: If you go with what Robin just said  
17 and you try to characterize everything in the sample,  
18 you're going to miss a lot of the sample by only doing  
19 TEM.

20 ROBYN RAY: Well, that's it. My multiple  
21 techniques. I tried to characterize as much as possible  
22 through each technique so that later you can build a

1 better --

2 STEVE: One more point. The other thing is is  
3 that I guess what I heard Dr. Wylie say --and maybe  
4 other health individuals can chime in -- But it seems to  
5 me that width is the common denominator -- at least for  
6 mesothelioma, at a certain width or less it's  
7 problematic.

8 FRANK EHRENFELD: So that should be looked at.  
9 Let's come back to that segment. Greg.

10 GREGORY MEEKER: I'm not hearing SEM.

11 FRANK EHRENFELD: You're not hearing SEM. It's  
12 in our pantheon of technologies. If it was up there,  
13 then it's a technique that should either be explored or  
14 as an option, but perhaps none of these are individual  
15 standalone and they need to be in conjunction with  
16 another.

17 GREGORY MEEKER: Right. But SEM is fast.  
18 It's cheap. It's pretty. You can get very high  
19 magnifications these days.

20 AUDIENCE MEMBER 9: Yeah. (Inaudible) I think  
21 that ICPM can do elemental composition analysis. No,  
22 ICPMS.

1 FRANK EHRENFELD: So ICPMS. Possibly. That  
2 might be redundant with the XRD data and certainly under  
3 DES data for chemistry with TEM, but ICP mass spec is --

4 AUDIENCE MEMBER 9: Basic mass has to be  
5 quantitated. Something I can take around and then know  
6 exactly how much iron is in it. You just don't.

7 FRANK EHRENFELD: Just don't know if it's  
8 fiber.

9 GREGORY MEEKER: We do not recommend that.

10 FRANK EHRENFELD: Right.

11 GARY: Yeah, but ICPM has its --- elements.

12 (Crosstalk)

13 CATHERINE: Elements, yeah.

14 AUDIENCE MEMBER 9: I don't know. Something  
15 to see if it has iron or something.

16 FRANK EHRENFELD: Okay. Yeah.

17 AUDIENCE MEMBER 10: Quick question. In one  
18 of the talks they pointed out that necessity of iron  
19 being present in the fibers and correlating the  
20 biological outcome. Will any of these methods pick up  
21 how much iron is there and if it surfaced, what charge?

22 FRANK EHRENFELD: Wow, is that going to cost

1 you a lot of money after that.

2 AUDIENCE MEMBER 10: I know. I know but, you  
3 know. I mean, something to answer.

4 BRAD: I think at the end of the day, you  
5 know, the lab professionals would agree. Yeah, if you  
6 want to give me a sample that I know would have a  
7 hundred structures and I'm going to be able to take 100  
8 different spectra and accumulate enough data where  
9 there's some sort of conference. Says, "This is good  
10 data, and I can tell you what the iron content might  
11 be," I might have to take scans of this end of that --  
12 of that structure all the way down to this end of that  
13 structure to really get a good --

14 (Crosstalk)

15 AUDIENCE MEMBER 10: The person said the two  
16 distinguish between ferric and ferrous iron, you can't  
17 do that.

18 ROBYN RAY: You can't do that.

19 BRAD: You can't, but iron content you could.

20 FRANK EHRENFELD: Certainly something that we  
21 did a method would want to capture. I have Greg and  
22 then I have Jim, and then we need to do a few more

1 (inaudible). Go ahead.

2 GREGORY MEEKER: Surface with Auger  
3 are estimated. Auger.

4 FRANK EHRENFELD: Auger.

5 GREGORY MEEKER: And I'm gonna turn my pass to  
6 DR.

7 SEAN: That's good.

8 FRANK EHRENFELD: And that's -- SEM would be -  
9 - use that technique with SEM, right?

10 GREGORY MEEKER: Well, you can attempt  
11 scanning imagines with Auger.

12 FRANK EHRENFELD: Yes. Jim.

13 AUDIENCE MEMBER 4: I wanted to address the  
14 iron question because iron is something that Dr. Mossman  
15 has looked at in great detail, and she's a great  
16 believer that it is a primary initiator of cell  
17 responses. You talk to other pathologists, they will  
18 say, "Well, it's not really that important."

19 AUDIENCE MEMBER 3: I know but in toxicology  
20 free iron it does contribute to an awful lot of  
21 reactive species generations, so it's sort of like the  
22 elephant that's standing there.



1 GREGORY MEEKER: Well, but then is that the  
2 only method by which damage comes to the cells?

3 AUDIENCE MEMBER 3: No.

4 GREGORY MEEKER: Through free radicals.

5 AUDIENCE MEMBER 3: No. No. It's not the  
6 only method, but it is another method.

7 FRANK EHRENFELD: I had Allen. Go ahead.

8 ALLEN: Same analogy. Lee and I were talking  
9 last night genetic predisposition. One person has a  
10 predispositon to get mesothelioma, another doesn't. Do  
11 you ignore it, or do you quantify the iron the best you  
12 can?

13 AUDIENCE MEMBER 11: You (inaudible).

14 ALLEN: Well, yes, you look at the iron but  
15 whether or not you spend thousands of dollars on  
16 samples to determine whether or not it's FE2 or FE3--

17 AUDIENCE MEMBER 11: So what if he's off the  
18 (inaudible).

19 ALLEN: True. And all these techniques you  
20 can look at it --

21 FRANK EHRENFELD: Last comment, Sean, and  
22 then we need to move on. The people that just started,

1 cut you off.

2 SEAN: Just to come back into the iron thing,  
3 iron doesn't have to be part of the actual mineral in  
4 order to bring iron there. It can be biologically  
5 placed. That's why we get iron nodules on fibers, and  
6 you ask these guys -- I knew a few of them, but there's  
7 a man in the front that does a lot of them. If you look  
8 at the lung tissue, you're going to see the ferruginous  
9 bodies on almost any fiber type.

10 (Crosstalk)

11 ALLEN: Jaglets (ph) of body response  
12 (inaudible).

13 SEAN: Right. It's going to -- you're going  
14 to get -- yeah, the body is going to produce iron to  
15 coat. Any fiber, even silica fibers bring iron to the  
16 site which could be your toxicologic --.

17 GARY: Geritol.

18 SEAN: What?

19 GARY: Geritol.

20 FRANK EHRENFELD: Again --

21 (Crosstalk)

22 A lot of good stuff here. We want to make

1 sure we are just trying to formulate something here  
2 that we can put forth to the group.

3           So various techniques, use more than one, and  
4 we also put SEM and Auger spectroscopy on there as well.  
5 And then it's this quandary of are we going for asbestos  
6 and classical definitions in the laboratory over the  
7 years or definitions for the risk assessors for what  
8 asbestos is or definitions for the geologists and what  
9 is it for? Or are we going to go with something like  
10 EMP and what that entails? So again, we don't need to  
11 re-discuss that. I think these are some of the three  
12 main points that we discussed.

13           I also have written down real small to make  
14 sure we capture the larger document later, measuring  
15 for iron and being able to differentiate some of the  
16 minerals with their iron content might be important,  
17 measuring width and making sure that that data is part  
18 of the data set. It may be important. ICPMS might be  
19 added to the library of methods that we might be about  
20 to choose from.

21           Any other large issues that, again, fall under  
22 what we've been talking about; and I'll tell you what,

1 let's go through the slides again. This was our  
2 charge. We talked about -- well, we also talked about,  
3 you know, talc the deposit and perhaps talc in a  
4 cosmetic and what that implies; how it might be used;  
5 what might be holding it together or not holding it  
6 together. Reference standards, reference materials, we  
7 talked about that.

8 We now have a couple others that we can  
9 promote. Prep techniques, again, the general statement  
10 here which I'm clearly not altering anything; and yes,  
11 some of these techniques can be rather aggressive.

12 And then what are you going to do with all  
13 that data? Who's going to be the audience to you?  
14 Absolutely capture as much as possible and, you know,  
15 at some point it gets down to basic science, right?  
16 We're going to observe, measure, record document.  
17 There you go, Cline (ph). Right? You got it.

18 AUDIENCE MEMBER 12: The good news is that if  
19 you do mass analysis by TEM, you're doing all those  
20 careful length and width measurements. So you've got  
21 all the data to report as a mass and as structure per  
22 gram, and if you put all that data out in a report,

1 they can see all the widths you contend, aspect ratios,  
2 my length.

3 So for TEM labs -- TEM analysts here. Show of  
4 hands again. Who has done the old ASTM D5756? Right.  
5 Okay. You got to record length and width. There's a  
6 specific gravity that's thrown in there, so you can make  
7 certain calculations.

8 Who's done work for EPA using the old NADES --  
9 the NADES database, right? Same thing, collect  
10 everything that you can. Throw it in there because 20  
11 years from now, they want you to go back and look at  
12 something, and you don't want to put a sample or a grid  
13 back in that scale, right?

14 Is anybody else have any other final comments  
15 before we dismiss you to the bar? No, I'm sorry, to  
16 the next session. Gary.

17 GARY: When a structure's per gram, I think  
18 what should be presented on the denominator is the  
19 number of particles that are the nonstructures. So if  
20 you have a talc as a D50 of, let's just say, 2 micron  
21 on 5 micron, 10 micron, you should calculate a typical  
22 number; and it could be millions, and that should be

1 the denominator instead of what you see there is a one.  
2 Actually, your mind will see a large numerator and a  
3 one, and it says 1 gram. Your mind takes up one with  
4 possibly 10s to 100s of thousands of structures based  
5 on observing one TM structure -- calculated structures  
6 by gram. So if you think about it, it should really be  
7 represented in how many nonstructural particles are in  
8 that denominator and when you write out 10 million, 5  
9 million with all the zeros, it's a much different  
10 perspective.

11 FRANK EHRENFELD: So can I summarize this  
12 thing? Put your data in context relative to what's in  
13 there?

14 ROBYN RAY: Yeah.

15 FRANK EHRENFELD: He just said, "Parts for  
16 million and parts for billions."

17 GARY: Right.

18 FRANK EHRENFELD: I had Lee. I had Greg and  
19 Shawn. Go ahead, Greg.

20 GREGORY MEEKER: Standards are critical and  
21 I'm not -- it's spike talc, yes; but I'm talking also  
22 about standards to analyze to see if your EDS is giving

1 you the right answer, okay, to see if your measurement  
2 on your image is the correct size.

3 FRANK EHRENFELD: Yeah.

4 GREGORY MEEKER: All of these things are  
5 really important, and I don't see them used enough.

6 FRANK EHRENFELD: Who has run out of SRM2063  
7 to calibrate their TEMEDS? We still have a few of  
8 those glass grids left, but you know, they're  
9 carbonized and everything else.

10 Who's tried the Icelandic assault from USGS?  
11 Okay. Varying results? Yeah.

12 GREGORY MEEKER: BIR-1G is what I would  
13 recommend.

14 FRANK EHRENFELD: I'll be sending you an e-  
15 mail asking. Just let us know.

16 (Crosstalk)

17 GREGORY MEEKER: No, I don't -- I don't work  
18 there anymore so --

19 ROBYN RAY: Yeah.

20 FRANK EHRENFELD: That that's the Icelandic assault  
21 for you? Okay.

22 ROBYN RAY: Yes.

1 GREGORY MEEKER: Is that yes? Honey, put some  
2 in there. Yeah, ROI is --

3 (Crosstalk)

4 FRANK EHRENFELD: Okay. I think Shawn -- Lee  
5 and Shawn, anything else?

6 SEAN: Go ahead.

7 LEE: It was just a comment on the whole fiber  
8 per gram reporting to be going back to a era where one  
9 structure could be one chrysotile .5 or a huge, you  
10 know, bundle or seven plus in a 5755 or our -- your  
11 know, Jim Millette and Steve Haze spent a -- no one has  
12 ever really successfully extrapolated the concentration  
13 like that into a risk assessment that I'm aware of, and  
14 so I've always been little cautious about that type of  
15 report.

16 FRANK EHRENFELD: Absolutely. Sean.

17 SEAN: Well, we have Steve Haze on a lot of  
18 work. He obviously did a little bit of experimental  
19 work and came up with rough categorizations. You have  
20 zero to 10,006; low to slight or none. You have 10,000  
21 to 50,000. I don't remember the exact bracket, but he  
22 had these bins of level of severity of overall



1 contamination. You weren't saying this is specifically  
2 going to release this number of fibers. You just had  
3 some sort of idea in the number of asbestos structures  
4 per unit area of dust what the severity of the  
5 contamination was, and then the next step would be to go  
6 back and do, say, an aggressive air test. Well, that's  
7 the same thing that we need to do. If we have asbestos  
8 and talc, we need to say, "All right. Let's get some  
9 sort of idea how many asbestos structures there are per  
10 unit weight."

11 AUDIENCE MEMBER 5: We can make it (inaudible)  
12 again, so worry about the large number.

13 SEAN: It's the lack of SOP that concerns me.

14 GARY: Yeah, and that's what it comes to. The  
15 SOP is standardization, is an example of the structure  
16 per gram, and you put -- one of the problems I have is,  
17 seeing one structure, you prep your sample in such a  
18 way that you have 50 million structures per gram based  
19 on the seeing one structure. That's not a valid  
20 analysis.

21 FRANK EHRENFELD: It's certainly not telling  
22 the story correctly perhaps, and that's why putting it

1 in proper context --

2 GARY: And ignoring something some other  
3 technique to look at the other population. I think  
4 it's important.

5 FRANK EHRENFELD: Okay. I think we're done  
6 here. Julie, you have the last word.

7 AUDIENCE MEMBER 6: I think one thing that is  
8 really important that any method is its validation at  
9 the end of it and the way you do that is to create  
10 standards, and there is absolutely no way to create a  
11 standard with x-number of fibers. We all create  
12 standards by the weight. That's the only thing I have  
13 to say.

14 FRANK EHRENFELD: Okay. I want to thank you  
15 for your time today. I don't know exactly -- since we  
16 were delayed in starting on that session to start, if  
17 there's anything you think we missed, come up and let  
18 us know. Otherwise, I wanted to thank Robyn and thank  
19 you, and we'll see you at the end of the session today.

20

21

22

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

## CERTIFICATE OF NOTARY PUBLIC

I, KEVON CONGO, the officer before whom the foregoing proceeding was taken, do hereby certify that the proceedings were recorded by me and thereafter reduced to typewriting under my direction; that said proceedings are a true and accurate record to the best of my knowledge, skills, and ability; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this was taken; and, further, that I am not a relative or employee of any counsel or attorney employed by the parties hereto, nor financially or otherwise interested in the outcome of this action.



KEVON CONGO

Notary Public in and for the  
State of Maryland

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

## CERTIFICATE OF TRANSCRIBER

I, CINDY FORRISTER, do hereby certify that this transcript was prepared from audio to the best of my ability.

I am neither counsel for, related to, nor employed by any of the parties to this action, nor financially or otherwise interested in the outcome of this action.

December 9, 2018

DATE



CINDY FORRISTER



<p><b>allows</b> 41:22  <b>alluding</b> 25:13  <b>alter</b> 18:11 21:7  <b>alteration</b> 58:15  58:15  <b>altering</b> 21:13  68:10  <b>amend</b> 18:7  <b>amended</b> 5:21  <b>amount</b> 19:5 46:2  <b>amounts</b> 10:6  <b>analogy</b> 27:6 65:8  <b>analysis</b> 1:6 28:2  46:10 51:17 52:19  61:21 68:19 73:20  <b>analyst</b> 8:19  <b>analysts</b> 5:1 6:20  7:6 32:22  <b>analytical</b> 6:14  7:19 9:21 10:5,22  11:11,21 12:13,18  18:4 24:6 27:7  29:18 32:19 39:17  46:16 47:5  <b>analyze</b> 20:6 21:1  56:6 70:22  <b>analyzed</b> 56:20  <b>analyzing</b> 8:20  20:3 31:12  <b>andres</b> 25:1  <b>andrew</b> 45:11  <b>ann</b> 4:17,19 8:17  8:20 12:5 41:6  42:12  <b>annalist</b> 28:21  <b>anonymous</b> 4:5  <b>answer</b> 7:10 10:2  31:9 33:5 36:2  48:3,15 63:3 71:1  <b>answered</b> 25:12  42:20  <b>answers</b> 15:22  <b>anthophyllite</b>  25:11 30:16 57:18</p>	<p>57:18  <b>anthrophyllite</b>  29:22  <b>antigorite</b> 58:1  <b>antoxillitis</b> 66:16  <b>anybody</b> 13:12  15:22 41:4 54:16  58:16 69:14  <b>anymore</b> 59:17  71:18  <b>apa600</b> 13:2  <b>apologize</b> 37:1  <b>application</b> 20:2  <b>apply</b> 46:13,17  <b>approach</b> 12:18  22:21 23:12  <b>approaches</b> 11:11  <b>approaching</b> 49:4  <b>appropriate</b> 3:5  <b>area</b> 26:19 73:4  <b>areas</b> 27:21  <b>arenite</b> 26:16  <b>argument</b> 27:22  <b>asbestiform</b> 9:6  15:7 30:1 50:13  51:19 59:6  <b>asbestos</b> 1:3 3:11  3:14 4:9,22 5:5  6:2,12 11:14,15  15:4,7,12,20  24:21 25:6,17,18  25:20 26:15,16,20  26:21 27:5 30:8  30:22 31:13 41:4  42:17 43:6 44:1  44:11,18 46:1,7  50:17 52:7,9,13  54:5 67:6,8 73:3,8  73:9  <b>ash</b> 8:6  <b>asked</b> 43:3  <b>asking</b> 25:12  71:15</p>	<p><b>aspect</b> 12:6 55:11  69:1  <b>aspects</b> 37:7  <b>assault</b> 71:10,21  <b>assemblages</b> 50:17  <b>assessment</b> 72:13  <b>assessors</b> 67:7  <b>associated</b> 16:10  <b>assumes</b> 28:17  <b>ast</b> 50:16  <b>astm</b> 3:9 5:9,18  10:5 47:16,19,20  <b>astmd5756</b> 69:4  <b>astn</b> 50:6  <b>attempt</b> 64:10  <b>attention</b> 35:4  39:16  <b>attorney</b> 75:11  <b>attributes</b> 35:6,7  35:17  <b>audience</b> 5:13  6:18 11:18 13:14  13:20 14:2 16:1,4  16:9 17:2,6,7,9,11  17:12,13,15,17  18:12,15,19,22  19:12 20:4,12,14  20:16,19 21:14,16  21:18,21 22:2  23:17 24:1,2,4  27:9,15 28:9,13  29:5,17 31:8,21  32:20,21 33:18  34:12,14,15,18,19  34:21 35:1,5,10  35:11,16,19 36:9  36:12,14,17,18,22  37:10,15,17,19  39:3,10 45:12,18  45:19 47:16 50:5  50:19,21 51:8,13  51:14 52:3,17  53:7,20 54:19  55:8,13 56:8,18</p>	<p>57:1,5 58:19 60:8  61:20 62:4,14,17  63:2,15 64:13,19  65:3,5,13,17  68:13,18 73:11  74:7  <b>audio</b> 76:3  <b>australia</b> 38:14  <b>available</b> 31:9  <b>avenue</b> 1:12  <b>avoided</b> 15:1  <b>aware</b> 38:14 72:13  <b>awful</b> 11:22 64:20</p> <p style="text-align: center;"><b>b</b></p> <p><b>b</b> 12:1  <b>baby</b> 8:18 33:2  <b>back</b> 4:3 10:18  12:9 13:7,21  15:13,21 16:4  23:13 25:9 28:20  29:3,6,17 30:18  31:18 32:10 40:14  41:13 44:22 45:15  45:20 46:9 48:20  53:17 54:2 55:22  56:3 61:9 66:2  69:11,13 72:8  73:6  <b>bad</b> 52:20  <b>baltimore</b> 1:12  <b>bar</b> 16:1 69:15  <b>base</b> 19:11 32:13  <b>based</b> 9:12 19:8  19:12 32:17 33:16  52:10 70:4 73:18  <b>basic</b> 10:17 68:15  <b>basis</b> 8:16  <b>bathroom</b> 8:19  <b>bay</b> 34:15  <b>bed</b> 11:16 19:13  <b>behave</b> 29:11  <b>believe</b> 14:5 34:3  38:5</p>
--	--	--	---

<b>believer</b> 64:16 <b>bench</b> 28:21 <b>bending</b> 28:22 <b>bends</b> 57:14 <b>beneficial</b> 10:7 49:16 <b>best</b> 22:17 29:20 31:1 65:11 75:6 76:3 <b>better</b> 35:8 58:16 59:19 61:1 <b>big</b> 22:6 30:12 53:2 60:4 <b>bill</b> 48:14 <b>billions</b> 70:16 <b>binders</b> 8:1,4 9:17 <b>bins</b> 72:22 <b>biochemical</b> 55:3 <b>biological</b> 6:22 7:8 26:22 27:3 62:20 <b>biologically</b> 17:21 66:4 <b>bir1g</b> 71:12 <b>bit</b> 3:20 72:18 <b>bla</b> 38:14,14,14 <b>blend</b> 32:14 <b>blocky</b> 58:6 <b>board</b> 53:19 <b>bob's</b> 45:4 <b>bodies</b> 66:9 <b>body</b> 66:11,14 <b>boil</b> 46:15 <b>bold</b> 54:17 <b>boots</b> 56:13 <b>born</b> 44:22 <b>bossman</b> 64:15 <b>box</b> 31:2 <b>bracket</b> 72:21 <b>brad</b> 35:22 36:2,4 36:6,11 56:14,15 58:21 63:4,19 <b>braid</b> 59:2 <b>brand</b> 15:6	<b>breakout</b> 1:5 <b>breaks</b> 17:20 <b>breathing</b> 19:9 <b>brew</b> 38:17 39:8 <b>bring</b> 22:12 50:5 66:4,15 <b>brings</b> 55:22 <b>broke</b> 53:19 <b>brookhaven</b> 10:1 <b>brought</b> 41:11,15 45:22 46:12 <b>bubbled</b> 72:22 <b>build</b> 60:22 <b>building</b> 5:2 31:17 <b>bulk</b> 5:2 10:10 20:3,6 28:2 46:1 52:11 <b>bullet</b> 58:12 <b>bundle</b> 42:21,22 44:18 72:10 <b>bundles</b> 17:20 43:9 <b>buried</b> 32:4 <b>burn</b> 21:6 23:8 <b>burning</b> 25:8	68:14 <b>carbonized</b> 71:9 <b>carcinogenic</b> 26:13 <b>care</b> 12:10 20:6 22:21 <b>careful</b> 11:2 59:10 68:20 <b>case</b> 9:20 15:1 17:5 27:16 50:12 56:6 <b>cases</b> 23:11 <b>categorizations</b> 72:19 <b>category</b> 53:6 <b>catherine</b> 37:11 47:17 48:17,18 51:13 54:20 62:13 <b>cause</b> 26:15 38:13 41:13 55:1 <b>causes</b> 16:13,18 17:21 26:17 <b>causing</b> 48:7 <b>cautious</b> 72:14 <b>ceiling</b> 31:13 <b>cell</b> 64:16 <b>cells</b> 65:2 <b>cellulose</b> 21:4 <b>ensor</b> 59:9 <b>certain</b> 9:15,16 13:8 21:11 32:15 32:17 33:15,21 34:9,11 61:6 69:7 <b>certainly</b> 7:11 9:15 10:7,14,19 11:1,3 12:4 19:21 47:22 62:2 63:20 73:21 <b>certificate</b> 75:1 76:1 <b>certify</b> 75:3 76:2 <b>chain</b> 49:2 <b>chair</b> 3:9	<b>challenge</b> 51:8,14 <b>challenges</b> 51:2 <b>change</b> 9:12 21:8 50:3 54:15 <b>changed</b> 34:20 <b>changing</b> 54:5 <b>characteristic</b> 18:12,16 <b>characteristics</b> 46:4 <b>characterization</b> 19:5 50:11 <b>characterizations</b> 24:6 <b>characterize</b> 56:6 60:17,21 <b>characterized</b> 47:1 <b>charge</b> 6:11 54:1,2 62:21 68:2 <b>charged</b> 24:15 28:5 <b>chatfield</b> 15:8 <b>chatfield's</b> 11:7 <b>cheap</b> 61:18 <b>chemical</b> 33:10 <b>chemist</b> 32:1 <b>chemistry</b> 10:17 62:3 <b>children</b> 5:11 <b>chloride</b> 34:10 35:9 <b>choose</b> 67:20 <b>chris</b> 25:12 <b>christmas</b> 11:17 <b>chrysotile</b> 30:17 58:2 72:9 <b>cindy</b> 76:2,13 <b>circle</b> 10:18 <b>civil</b> 47:6 <b>clarification</b> 37:12 <b>clarify</b> 18:20 <b>classical</b> 67:6
	<b>c</b> c 2:1 3:1 <b>calculate</b> 52:21 69:21 <b>calculated</b> 70:5 <b>calculation</b> 44:21 51:17 <b>calibrate</b> 71:7 <b>california</b> 48:12 <b>call</b> 14:20 17:7 29:13 <b>called</b> 16:22 19:8 61:4 <b>calling</b> 59:5 <b>cancer</b> 55:4 <b>cancerous</b> 27:10 <b>capital</b> 1:20 <b>capture</b> 54:8 56:14 63:21 67:14		

<p><b>clean</b> 44:15  <b>clearly</b> 26:19  68:10  <b>cleavage</b> 26:7,13  26:14,15,20 27:2  27:4 28:10,11,14  28:16 54:22  <b>client</b> 59:20  <b>cline</b> 68:17  <b>close</b> 16:12 19:15  31:3 37:22  <b>closer</b> 54:18 55:19  55:19  <b>closet</b> 8:19 42:13  <b>coated</b> 22:18  <b>code</b> 66:15  <b>collect</b> 11:20  20:11 69:9  <b>collecting</b> 20:2  <b>college</b> 1:13  <b>coloring</b> 21:4  <b>combination</b> 48:9  <b>come</b> 4:18 15:17  29:20 47:14 49:8  58:11 61:9 66:2  74:17  <b>comes</b> 46:8,12  65:2 73:14  <b>coming</b> 29:19  <b>comma</b> 38:6  <b>comment</b> 49:22  65:21 72:7  <b>comments</b> 28:8  69:14  <b>committee</b> 49:17  <b>common</b> 22:3  23:12 57:11 58:5  58:7 61:5  <b>community</b> 4:10  <b>company</b> 1:20  <b>completely</b> 30:9  <b>complexion</b> 54:6  <b>complication</b> 5:16</p>	<p><b>compounds</b> 38:18  <b>compton</b> 5:10  <b>concentration</b>  56:9 72:12  <b>concept</b> 4:14  53:14  <b>concern</b> 5:8  <b>concerned</b> 20:11  <b>concerning</b> 26:7  <b>concerns</b> 73:13  <b>concurrence</b> 6:14  <b>conducted</b> 1:8  <b>conference</b> 60:11  63:9  <b>confidence</b> 48:1  <b>confirm</b> 40:8  <b>confirmed</b> 46:7  <b>congo</b> 1:18 75:2  75:17  <b>conjunction</b> 61:16  <b>conscious</b> 37:5  <b>consensus</b> 28:5  44:17  <b>consequently</b> 8:4  <b>consider</b> 6:19 7:16  7:19 49:21  <b>constituents</b> 34:10  <b>consumer</b> 24:7  35:21  <b>contact</b> 16:16  20:20  <b>contain</b> 41:3  <b>containers</b> 14:17  <b>containing</b> 6:15  43:7 50:13  <b>contains</b> 15:18  52:7  <b>contaminant</b>  11:15  <b>contaminated</b> 5:3  <b>contamination</b>  46:9 73:1,5  <b>contend</b> 69:1</p>	<p><b>content</b> 18:11,15  54:15 63:10,19  67:16  <b>context</b> 70:12 74:1  <b>continues</b> 26:18  <b>contribute</b> 64:20  <b>convening</b> 49:21  <b>conversation</b> 13:9  <b>convince</b> 27:5  58:22  <b>cool</b> 7:5  <b>cooperate</b> 19:20  <b>copy</b> 15:13  <b>cordaites</b> 35:9  <b>corner</b> 60:12  <b>correct</b> 51:1 55:11  71:2  <b>correctly</b> 73:22  <b>correlate</b> 52:5  <b>correlating</b> 62:19  <b>cosmetic</b> 6:10 7:21  9:7 22:13 25:6  33:1,8,22 34:16  35:14 37:3,21  43:20 48:12 57:8  68:4  <b>cosmetics</b> 1:7 6:15  9:18 14:9 25:2,17  32:11 36:15 38:12  38:20 54:4  <b>cost</b> 62:22  <b>counsel</b> 75:8,11  76:6  <b>count</b> 28:22 42:20  46:17 56:5  <b>countable</b> 9:4,4  25:20 42:17 43:14  44:11 52:11  <b>counting</b> 12:3  28:21,21  <b>counts</b> 38:6,7  <b>couple</b> 3:5,20 9:14  32:21 39:16 57:8  68:8</p>	<p><b>course</b> 9:5 40:4  <b>court</b> 27:16,17  32:7  <b>cover</b> 37:7  <b>covered</b> 3:6  <b>cpfa</b> 37:20  <b>crayola</b> 23:3 25:9  <b>crayon</b> 23:5 25:14  28:9  <b>crayons</b> 25:9,11  25:18  <b>crazy</b> 38:21,22  39:1  <b>create</b> 18:18 74:9  74:10,11  <b>created</b> 6:4  <b>creating</b> 6:3  <b>criteria</b> 12:2  <b>critical</b> 19:6 70:20  <b>crosstalk</b> 17:16  21:17 24:3 34:22  36:20 60:6 62:12  63:14 66:10,21  71:16 72:3  <b>crystal</b> 10:17  <b>ctfa</b> 35:5  <b>ctfs</b> 35:11  <b>cumingtonite</b>  30:15  <b>currently</b> 12:22  50:16  <b>cut</b> 15:22 66:1</p> <p style="text-align: center;"><b>d</b></p> <p><b>d</b> 3:1  <b>d.c.</b> 1:22  <b>d2207</b> 5:9  <b>d50</b> 69:20  <b>d7712</b> 5:10  <b>dangerous</b> 38:11  38:13  <b>danish</b> 65:2  <b>dark</b> 14:6  <b>data</b> 11:21 12:12  12:13 13:19 14:5</p>
---	---	--	---



<p>27:7,7 53:9 55:15 55:17,20 56:12,14 62:2,3 63:8,10 67:17,18 68:13,21 68:22 70:12 <b>database</b> 69:9 <b>date</b> 76:13 <b>davis</b> 11:12 <b>day</b> 13:22 25:9 48:2 63:4 <b>days</b> 61:19 <b>dc</b> 53:16 <b>deal</b> 25:17 <b>death</b> 32:2 <b>decades</b> 19:10,10 <b>december</b> 76:12 <b>decision</b> 42:5 44:7 56:12 <b>deem</b> 46:7 <b>define</b> 26:10 27:14 <b>defines</b> 33:8 <b>definitely</b> 49:10 49:14 <b>definition</b> 4:9,21 5:5 9:6 27:2,3 33:1,14 34:13,16 37:14,20 <b>definitions</b> 5:19 6:1,2 67:6,7,8 <b>delayed</b> 74:16 <b>deleted</b> 5:21 <b>deliver</b> 12:13 <b>dellamortal</b> 65:10 <b>demand</b> 43:15 <b>denominator</b> 61:5 69:18 70:1,8 <b>department</b> 37:21 <b>depending</b> 31:1 <b>depleted</b> 58:2 <b>deposit</b> 57:4,7 68:3 <b>des</b> 62:3 <b>description</b> 45:1</p>	<p><b>detail</b> 64:15 <b>details</b> 51:17 <b>detect</b> 8:3 11:6 <b>detected</b> 15:3 <b>detection</b> 24:13 <b>determine</b> 5:19 21:12 45:5 47:22 48:3,6 65:16 <b>develop</b> 47:6 <b>development</b> 18:7 50:16 <b>diameter</b> 44:18 <b>different</b> 11:11 21:11 22:4,8,9,9 29:18 30:10 36:21 37:1,2 52:16 63:8 70:9 <b>differentiate</b> 31:16 67:15 <b>difficult</b> 5:16 <b>dilemma</b> 47:9 <b>directing</b> 3:17 <b>direction</b> 75:5 <b>director</b> 3:10 <b>disadvantages</b> 31:6 40:12 <b>disagree</b> 43:13 46:5 51:22 58:16 <b>disclaimer</b> 40:6 <b>discover</b> 41:17 <b>discrete</b> 43:6 <b>discriminate</b> 42:22 <b>discuss</b> 67:11 <b>discussed</b> 10:18 54:6 67:12 <b>discussion</b> 3:4,17 4:5 37:13 56:16 58:14 <b>disease</b> 16:14,18 19:5 48:7 55:3 <b>diseases</b> 41:13 <b>dismiss</b> 69:15</p>	<p><b>disperses</b> 17:20 <b>dissolving</b> 11:14 <b>distinguish</b> 63:16 <b>disturb</b> 17:18 <b>disturbance</b> 19:6 20:7 <b>disturbs</b> 17:19 <b>dm</b> 42:4 <b>document</b> 5:14 67:14 68:16 <b>documents</b> 6:1 <b>doing</b> 3:14 12:20 13:3 31:17 60:18 68:19 <b>doj</b> 64:2 <b>dollar</b> 31:14 <b>dollars</b> 65:15 <b>dolomite</b> 15:18,18 <b>door</b> 54:18 <b>dose</b> 16:17,17 <b>doubts</b> 33:14 <b>dr</b> 13:18 15:8 40:14 61:3 64:6 64:14 <b>drives</b> 32:6 <b>dry</b> 10:22 <b>dust</b> 73:4 <b>dynamic</b> 54:15</p>	<p><b>effective</b> 30:15 <b>effects</b> 16:10 <b>either</b> 32:10 58:1 58:6 59:9 61:13 <b>electron</b> 30:9 42:16 43:14 <b>element</b> 61:21 <b>elements</b> 11:8 13:7 62:13 <b>elephant</b> 64:22 <b>eliminate</b> 51:6 <b>elongate</b> 58:22 59:4 <b>elongated</b> 53:14 53:18 54:14,21 58:21 <b>em</b> 42:17 43:17 <b>emp</b> 53:18 67:10 <b>employed</b> 75:8,11 76:7 <b>employee</b> 75:10 <b>employees</b> 5:6 <b>emsl</b> 3:14 <b>endless</b> 27:21 <b>engage</b> 49:14 <b>entails</b> 67:10 <b>epa</b> 30:19 69:8 <b>epidemiological</b> 6:22 <b>era</b> 72:8 <b>eric</b> 11:7 <b>errors</b> 8:4 <b>especially</b> 38:18 <b>establish</b> 6:14 25:19 27:18 <b>establishes</b> 69:7 <b>esteemed</b> 44:17 <b>estimated</b> 64:3 <b>evaluate</b> 40:16 <b>eventually</b> 58:13 <b>everybody</b> 47:17 54:12 <b>everything's</b> 15:15</p>
		<p><b>e</b></p>	
		<p><b>e</b> 2:1,1 3:1,1 10:7 71:14 <b>e2</b> 65:16 <b>e2207</b> 3:9 <b>earlier</b> 8:8 9:14 13:10 29:7 40:11 56:1 <b>easier</b> 5:13 <b>eats</b> 28:9 <b>ed</b> 11:16 <b>eds</b> 10:14 70:22 <b>educated</b> 23:1 <b>ees</b> 51:17 <b>effect</b> 18:1</p>	

<b>evidence</b> 38:15	<b>fatalities</b> 49:2	<b>fine</b> 15:15	28:10,11 54:22
<b>exact</b> 72:21	<b>fda</b> 7:4 32:10 47:5	<b>finish</b> 23:15 29:4	59:1
<b>exactly</b> 19:22 53:3	48:20 49:4	<b>finished</b> 56:19	<b>fragments</b> 26:8,13
62:5 74:15	<b>fdas</b> 48:14	<b>first</b> 24:22 25:18	26:20 27:4 28:14
<b>example</b> 16:21	<b>fe3</b> 65:16	25:21 26:1 27:17	28:16 59:3
29:20 45:21 73:15	<b>federal</b> 26:9	32:22 42:1,2,2	<b>framework</b> 59:4
<b>examples</b> 8:9	<b>feds</b> 60:3	48:5	<b>frank</b> 1:8 2:3 3:2,8
<b>excellent</b> 51:16	<b>feedback</b> 49:17	<b>five</b> 32:13 38:12	7:15 13:15,21
<b>exclusively</b> 6:21	<b>feel</b> 20:1 49:14	<b>fix</b> 20:10	14:3,12,15,22
<b>existing</b> 49:9	<b>ferrous</b> 63:16	<b>floor</b> 15:2,7,14	16:3,6 17:1,4,8,10
<b>exit</b> 44:15	<b>feverishly</b> 18:9	31:13	17:14 18:3,14,16
<b>expect</b> 43:6 46:1	<b>fiber</b> 6:1 12:3	<b>florin</b> 15:13	18:21 19:11,18
<b>expensive</b> 59:22	18:11,12,16 41:8	<b>flowchart</b> 60:13	20:17 21:20,22
<b>experience</b> 13:11	45:7 46:19 54:22	<b>fluidized</b> 11:16	22:11 23:15,20
13:17	55:16,16,16 56:9	19:13	24:9 26:2 28:4,19
<b>experienced</b> 10:12	57:11 59:2 62:8	<b>fly</b> 53:20	29:6,14 31:4,12
40:16	66:9,15 72:7	<b>follow</b> 18:4 21:22	32:9 33:4,7,12,15
<b>expert</b> 13:12	<b>fiberless</b> 37:4	48:16,18	34:5,8 35:3 36:1
49:17	<b>fibers</b> 1:7 6:11,13	<b>followed</b> 18:5	37:5,22 38:3,6,8
<b>explain</b> 57:14	6:15 11:4 17:20	<b>food</b> 27:3	39:9,13,15 40:13
<b>explored</b> 61:14	18:18 21:9 26:10	<b>foregoing</b> 75:3	40:20 41:16,19
<b>exposure</b> 12:20	26:12 30:10 32:18	<b>forget</b> 16:21	42:3,7,10,14
16:13,15 19:8	42:22 43:6 44:11	<b>form</b> 19:20 53:11	43:10 44:5,16,22
20:10 24:12 27:20	45:2 46:6 54:3,4	<b>formation</b> 9:5	45:8,10,14 46:15
28:1,3 49:13 52:5	56:21 57:12 58:4	<b>formula</b> 9:19	47:2,11,15 48:18
<b>expressed</b> 10:8	59:5 62:19 66:5	<b>formulate</b> 32:11	50:2,15,20,22
<b>extent</b> 29:8 48:15	66:15 73:2 74:11	67:1	51:12,21 52:15
53:8,9 54:7,14	<b>fibrosity</b> 15:10	<b>formulated</b> 5:2	53:5,8,22 54:12
59:9	<b>fibrous</b> 10:16 36:5	<b>formulating</b> 10:5	55:5,7,9,22 56:11
<b>extrapolate</b> 53:1	56:17 57:17 58:6	<b>formulation</b> 22:15	57:3,7 58:11,19
<b>extrapolated</b>	<b>field</b> 41:1	<b>formulations</b> 22:8	59:8 60:7,14 61:8
72:12	<b>film</b> 13:22	<b>forrister</b> 76:2,13	61:11 62:1,7,10
<b>eye</b> 1:21	<b>filters</b> 7:10	<b>forth</b> 67:2	62:16,22 63:20
<b>f</b>	<b>final</b> 53:12 69:14	<b>forward</b> 6:5 50:4	64:4,8,12 65:7,21
<b>face</b> 57:6	<b>finally</b> 26:22	53:13	66:20 70:11,15,18
<b>fact</b> 15:8	<b>financially</b> 75:12	<b>found</b> 8:18 23:6	71:3,6,14,20 72:4
<b>factors</b> 16:7 46:11	76:8	25:9,14 42:12	72:16 73:21 74:5
<b>fall</b> 67:21	<b>find</b> 9:15,16 13:4	43:11	74:14
<b>falls</b> 53:5	30:7,16,17 40:7	<b>founding</b> 46:5	<b>frankly</b> 59:19
<b>far</b> 8:4 32:16 33:8	41:12 43:6 44:11	<b>four</b> 24:10	<b>free</b> 21:8 64:20
40:22	44:11 52:20 56:17	<b>fraction</b> 15:20	65:4
<b>faric</b> 63:16	57:11	<b>fractured</b> 32:14	<b>fridgemous</b> 66:9
<b>fast</b> 61:17	<b>finding</b> 5:7 30:1	<b>fragment</b> 12:11	<b>friends</b> 29:22
	30:19	26:14,15 27:2	

<p><b>front</b> 5:12 24:5 66:7 <b>full</b> 45:6 55:14 <b>fund</b> 47:5 48:3 <b>funneled</b> 43:14 <b>further</b> 16:18 46:10 75:10</p>	<p><b>glyphosate</b> 22:6,8 <b>go</b> 4:3 5:20 9:18 13:6,7,19 14:16 15:15 16:1,4 22:7 23:13,15 26:2 27:17 30:18 38:19 40:14 42:3 43:17 48:7,10 53:13 59:21 60:2,15,16 64:1 65:7 67:9 68:1,17 69:11 70:19 72:6 73:5</p>	<p>66:22 68:18 <b>googled</b> 38:12 <b>gotten</b> 55:18 <b>government</b> 7:2 <b>grab</b> 21:6 <b>gram</b> 51:18 52:8 52:10,18 53:1 68:22 69:17 70:3 70:6 72:8 73:16 73:18</p>	<p><b>h</b> <b>habit</b> 8:14 9:5 <b>hair</b> 73:6 <b>hallway</b> 4:7 <b>hammered</b> 60:3,8 <b>hand</b> 42:11 44:12 <b>hands</b> 3:18 6:18 7:1 13:10 19:18 20:18 24:10 69:4</p>
<p><b>g</b></p>			
<p><b>g</b> 3:1 <b>gallon</b> 32:13 <b>gary</b> 13:15 22:11 22:12 33:4,10,17 33:22 34:3,6,9 36:16,21 38:2,10 40:11,14 42:5,9 42:19 43:5,16,21 44:15,20 45:6,9 58:18,21 60:3 62:11 66:17,19 69:16,17 70:17 73:14 74:2 <b>general</b> 7:18 68:9 <b>generations</b> 64:21 <b>genetic</b> 65:9 <b>geological</b> 9:5 17:14 <b>geologies</b> 6:19 <b>geologist</b> 4:8,8 <b>geologists</b> 7:7 67:8 <b>geritol</b> 66:17,19 <b>getting</b> 21:5 30:6 48:13 49:12 <b>give</b> 15:14 33:13 34:12 49:10,22 51:17,22 54:20 63:6 <b>given</b> 24:9 <b>gives</b> 30:7 36:6 52:6 <b>giving</b> 70:22 <b>glass</b> 71:8 <b>gleaned</b> 10:13 <b>glycerins</b> 49:3</p>	<p><b>goal</b> 49:7 <b>god's</b> 24:9 <b>goes</b> 46:3 <b>going</b> 3:4,6 6:5 9:8 9:9,10 10:18 11:17,22 12:1,12 12:12,16,17,18,20 15:14 18:10 19:20 19:22 21:5,8 22:5 23:10 25:15 26:16 27:6,17 29:11 30:17 31:14,22 32:8,12 38:20 40:6 44:3,13 45:12,20 46:9 47:12,14 48:12 50:7,12 53:9,20 54:14 55:1 56:16 56:17 57:9 58:4 60:15,18 62:22 63:7 66:8,13,13 66:14 67:5,9 68:12,13,16 72:8 73:2 <b>gonna</b> 21:6 27:15 31:6 37:10 56:15 59:16 64:5 <b>good</b> 6:6,19 7:1,6 9:14 10:8,9 15:15 22:12 24:19 41:7 41:14 51:5 56:15 63:9,13 64:7</p>	<p><b>graph</b> 8:5 10:20 <b>graphed</b> 13:1 <b>gravity</b> 69:6 <b>great</b> 3:14 14:13 64:15,16 <b>greater</b> 34:4 40:22 <b>greg</b> 4:1,11 24:10 28:7,19 29:4 61:9 63:21 70:18,19 <b>greg's</b> 12:9 56:1 <b>gregory</b> 16:2 28:8 28:15 29:5,10,15 41:10,18 53:21 61:10,17 62:9 64:2,5,10 65:1,4 70:20 71:4,12,17 72:1 <b>grid</b> 41:1 69:12 <b>grids</b> 71:8 <b>groggy</b> 57:15 <b>ground</b> 6:8 23:8 <b>group</b> 10:5 37:9 40:9 47:8 48:3 67:2 <b>guess</b> 15:17 23:6 30:20 40:14 47:3 55:13 61:3 <b>guidelines</b> 9:3 <b>guild</b> 5:9 <b>gun</b> 59:6 <b>guy</b> 40:17 <b>guys</b> 66:6</p>	<p><b>hang</b> 14:13 <b>happen</b> 17:21 <b>happened</b> 60:10 <b>happens</b> 20:16,16 <b>hard</b> 20:8 29:22 <b>hardware</b> 22:7 <b>harper</b> 4:7,19 48:4 <b>hat</b> 4:6 <b>hazardous</b> 46:18 53:18 <b>haze</b> 72:11,17 <b>head</b> 54:20 <b>health</b> 4:2 16:10 27:3 29:9 <b>hear</b> 7:9 <b>heard</b> 3:21 10:3,4 11:3,12,22 12:5,7 14:18 39:18 40:11 48:4 61:3 <b>hearing</b> 50:12 61:10,11 <b>heavy</b> 11:9 30:13 30:18 <b>hebital</b> 59:3 <b>help</b> 3:16 5:6 7:10 11:18 28:5 <b>helps</b> 13:8 30:7 <b>hemp</b> 53:19 <b>heparins</b> 49:3 <b>hereto</b> 75:11 <b>hex</b> 59:3 <b>hey</b> 8:22 28:20 32:12 40:5 46:16 48:11 51:2,5 54:6</p>

<p><b>high</b> 36:9 44:3 61:18</p> <p><b>higher</b> 35:11</p> <p><b>hill</b> 42:18</p> <p><b>hits</b> 38:12</p> <p><b>hold</b> 36:1 55:9,10</p> <p><b>holding</b> 14:10 68:5,5</p> <p><b>hominization</b> 7:18</p> <p><b>homogenization</b> 24:14</p> <p><b>honey</b> 72:1</p> <p><b>hope</b> 3:17,18</p> <p><b>hopes</b> 30:19</p> <p><b>horrible</b> 30:2</p> <p><b>huge</b> 72:9</p> <p><b>huh</b> 39:6</p> <p><b>hundred</b> 34:7 63:7</p>	<p><b>inability</b> 45:1</p> <p><b>inaudible</b> 19:3,4 19:14 23:9 27:8 37:3 41:13 50:9 50:11 51:9 58:9 60:13 61:20 64:1 65:13,18 66:12 72:18 73:11</p> <p><b>incapsulating</b> 22:18</p> <p><b>include</b> 18:15</p> <p><b>including</b> 31:10</p> <p><b>incrementally</b> 23:1</p> <p><b>indicated</b> 4:7 41:6</p> <p><b>indicator</b> 41:14 44:2</p> <p><b>individual</b> 42:22 61:15</p> <p><b>individuals</b> 61:4</p> <p><b>industrial</b> 36:18</p> <p><b>industry</b> 29:19 38:3</p> <p><b>inflammation</b> 55:2</p> <p><b>information</b> 10:8 10:9,13 49:11</p> <p><b>ingredient</b> 25:4,5</p> <p><b>initial</b> 60:4</p> <p><b>initiate</b> 64:16</p> <p><b>initiation</b> 55:2</p> <p><b>inorganic</b> 38:18</p> <p><b>inside</b> 13:22 59:13</p> <p><b>instant</b> 23:13</p> <p><b>insulation</b> 11:10</p> <p><b>intentionally</b> 5:2</p> <p><b>inter</b> 47:21</p> <p><b>interested</b> 75:12 76:8</p> <p><b>interesting</b> 3:21</p> <p><b>interestingly</b> 15:16</p> <p><b>interfere</b> 11:5</p>	<p><b>interference</b> 58:10</p> <p><b>interfering</b> 25:22</p> <p><b>intergrown</b> 57:19</p> <p><b>international</b> 3:10</p> <p><b>interpretation</b> 12:11</p> <p><b>introduce</b> 3:7</p> <p><b>introduced</b> 8:11 53:14</p> <p><b>invitation</b> 49:21</p> <p><b>involved</b> 7:7 12:21 21:7 26:7 42:5 48:10</p> <p><b>iron</b> 30:17 62:6,18 62:21 63:10,16,19 64:14,14,20 65:11 65:14 66:2,3,4,5 66:14,15 67:15,16</p> <p><b>ironness</b> 30:14</p> <p><b>iso</b> 11:7,8 47:20</p> <p><b>issue</b> 24:13 25:6 28:10</p> <p><b>issues</b> 25:3 34:16 47:7 67:21</p> <p><b>items</b> 3:6 7:17 9:17</p>	<p style="text-align: center;"><b>k</b></p> <p><b>karate</b> 26:3</p> <p><b>keep</b> 3:3 4:3,14 19:19 20:18 55:17 57:1</p> <p><b>kevon</b> 1:18 75:2 75:17</p> <p><b>key</b> 12:4</p> <p><b>kid</b> 26:3 28:9</p> <p><b>kids</b> 7:5</p> <p><b>kind</b> 20:1 27:5 29:18 33:3 34:5 49:3,21 50:10 52:7</p> <p><b>kinks</b> 57:14</p> <p><b>kinky</b> 54:11,12,13 56:13 57:12,13 58:6</p> <p><b>knew</b> 41:3 66:6</p> <p><b>know</b> 3:9 4:13,14 6:17 7:10,12,18 13:3 16:9,19 17:18,22 18:2,19 18:20 19:2,2,3,3,4 19:15 20:7 23:17 24:5 25:7 28:1 29:16 30:6,12,22 32:5 34:19 36:7 38:3 40:7,15,17 40:21 45:3,20,22 49:11,13 52:12 53:7 56:13 59:6 61:4 62:5,7,14 63:2,2,3,5,6 64:19 68:3,14 71:8,15 72:10,11 74:15,18</p> <p><b>knowledge</b> 6:4 22:17 75:7</p> <p><b>known</b> 41:13 58:4</p>
<p style="text-align: center;"><b>i</b></p> <p><b>ice</b> 71:10,20</p> <p><b>icp</b> 62:3</p> <p><b>icpm</b> 61:21 62:4</p> <p><b>icpms</b> 61:22 62:1 67:18</p> <p><b>idea</b> 52:6 73:3,9</p> <p><b>identification</b> 8:7 26:12</p> <p><b>identified</b> 8:3 28:10,13</p> <p><b>identifying</b> 12:3</p> <p><b>ignore</b> 65:11</p> <p><b>ignored</b> 28:11,14 29:2</p> <p><b>ignoring</b> 74:2</p> <p><b>imagine</b> 31:17 71:2</p> <p><b>imagines</b> 64:11</p> <p><b>implied</b> 4:17,19</p> <p><b>implies</b> 68:4</p> <p><b>important</b> 4:14 7:19 11:22 12:7,8 16:11 35:20 41:10 50:1 64:18 67:16 67:18 71:5 74:4,8</p>	<p><b>information</b> 10:8 10:9,13 49:11</p> <p><b>ingredient</b> 25:4,5</p> <p><b>initial</b> 60:4</p> <p><b>initiate</b> 64:16</p> <p><b>initiation</b> 55:2</p> <p><b>inorganic</b> 38:18</p> <p><b>inside</b> 13:22 59:13</p> <p><b>instant</b> 23:13</p> <p><b>insulation</b> 11:10</p> <p><b>intentionally</b> 5:2</p> <p><b>inter</b> 47:21</p> <p><b>interested</b> 75:12 76:8</p> <p><b>interesting</b> 3:21</p> <p><b>interestingly</b> 15:16</p> <p><b>interfere</b> 11:5</p>	<p style="text-align: center;"><b>j</b></p> <p><b>jaglets</b> 66:11</p> <p><b>jersey</b> 3:11</p> <p><b>jifsan</b> 1:2 6:14 7:12 32:10 54:2</p> <p><b>jim</b> 45:13,21 53:16 54:8 63:22 64:12 72:11</p> <p><b>jimmies</b> 17:4,5,8,9 17:10,12,21</p> <p><b>job</b> 3:15</p> <p><b>johnson</b> 15:9 60:11</p> <p><b>johnson's</b> 15:9</p> <p><b>julie</b> 4:18 9:7 13:16 74:6</p>	<p><b>karate</b> 26:3</p> <p><b>keep</b> 3:3 4:3,14 19:19 20:18 55:17 57:1</p> <p><b>kevon</b> 1:18 75:2 75:17</p> <p><b>key</b> 12:4</p> <p><b>kid</b> 26:3 28:9</p> <p><b>kids</b> 7:5</p> <p><b>kind</b> 20:1 27:5 29:18 33:3 34:5 49:3,21 50:10 52:7</p> <p><b>kinks</b> 57:14</p> <p><b>kinky</b> 54:11,12,13 56:13 57:12,13 58:6</p> <p><b>knew</b> 41:3 66:6</p> <p><b>know</b> 3:9 4:13,14 6:17 7:10,12,18 13:3 16:9,19 17:18,22 18:2,19 18:20 19:2,2,3,3,4 19:15 20:7 23:17 24:5 25:7 28:1 29:16 30:6,12,22 32:5 34:19 36:7 38:3 40:7,15,17 40:21 45:3,20,22 49:11,13 52:12 53:7 56:13 59:6 61:4 62:5,7,14 63:2,2,3,5,6 64:19 68:3,14 71:8,15 72:10,11 74:15,18</p> <p><b>knowledge</b> 6:4 22:17 75:7</p> <p><b>known</b> 41:13 58:4</p>
			<p style="text-align: center;"><b>l</b></p> <p><b>lab</b> 6:20 7:6 13:11 18:4 21:9 51:10 63:5</p>

<b>lab's</b> 10:1 <b>labels</b> 14:17 15:1 <b>laboratories</b> 15:8 48:14 <b>laboratory</b> 3:10 13:18 25:2 47:21 67:6 <b>labs</b> 3:11 47:6 69:3 <b>lack</b> 9:14 73:13 <b>lady</b> 60:11 <b>landed</b> 71:10,20 <b>large</b> 15:1 46:2,22 67:21 70:2 73:12 <b>larger</b> 67:14 <b>laughs</b> 5:13 11:18 16:1 17:15 20:13 28:9 29:5 37:10 39:3 45:19 47:16 51:13 52:3 53:20 54:19 58:20 60:8 <b>lead</b> 55:3 <b>leave</b> 54:4 <b>lee</b> 29:17 45:1 47:8 65:8 70:18 72:4,7 <b>left</b> 3:12 32:3 56:21 71:8 <b>legal</b> 4:10 <b>length</b> 68:20 69:2 69:5 <b>lethal</b> 55:3 <b>letter</b> 47:8 <b>letters</b> 48:21 <b>library</b> 67:19 <b>lid</b> 14:21 <b>liden</b> 36:7 <b>light</b> 9:1 10:11 13:1 41:5 44:19 44:21 <b>limit</b> 34:11 59:9 <b>limitation</b> 12:21 <b>limited</b> 39:20	<b>limits</b> 44:21 <b>line</b> 55:18 <b>lip</b> 9:9 <b>lips</b> 20:12 <b>lipstick</b> 19:20 20:10 33:2 <b>liquid</b> 11:9 30:13 30:18 <b>list</b> 38:20 <b>listed</b> 15:18 25:5 <b>listening</b> 58:14 <b>litigation</b> 15:1 <b>little</b> 3:3,20 16:21 16:22 17:2 32:1 35:11 72:14,18 <b>loading</b> 59:6 <b>long</b> 17:5 29:10 32:15 52:9 58:22 <b>look</b> 9:2,11 22:6 22:20,22 35:6,7 38:20 39:2 40:18 58:4,5 65:14,20 66:8 69:11 74:3 <b>looked</b> 41:4 42:16 43:7 46:20 64:15 <b>looking</b> 8:17,21 9:13 10:10 13:15 14:4 16:12 22:5 29:21 38:19 39:10 46:2 57:10 <b>looks</b> 57:18 <b>losing</b> 55:19 <b>lost</b> 17:5 <b>lot</b> 5:15 12:1 15:14 20:22 28:11,14 29:1 30:21 36:16 36:17,21 40:11 44:4 46:11 47:18 49:10 56:19,19 57:10,21 60:18 63:1 64:20 66:7 66:22 72:17 <b>low</b> 72:20	<b>lubricity</b> 36:8 <b>lunch</b> 29:21 <b>lung</b> 4:13 12:10 26:11 55:3 66:8 <b>lungs</b> 4:14 <hr/> <b>m</b> <hr/> <b>magic</b> 10:2 <b>magical</b> 9:21 <b>magnesium</b> 58:1 <b>magnification</b> 44:21 <b>magnifications</b> 61:19 <b>mail</b> 71:15 <b>main</b> 67:12 <b>maintaining</b> 5:14 <b>making</b> 22:15 30:20 67:17 <b>man</b> 66:7 <b>manager</b> 3:13 <b>manipulated</b> 52:19 <b>manufacture</b> 15:2 15:17 <b>manufactures</b> 32:11 <b>manufacturing</b> 12:19 <b>marin</b> 38:9 <b>mark</b> 19:14 <b>marky</b> 25:10 <b>martin</b> 4:7,19 5:12 14:7,8,13,16 16:20 38:10 39:2 39:4,7,14 40:21 43:2 48:4 54:11 <b>martin's</b> 16:20 32:2 59:11 <b>marty</b> 10:8 54:9 <b>maryland</b> 75:19 <b>mass</b> 31:11 52:21 68:19,21 <b>material</b> 10:10 11:1,5 15:12	16:13 22:20 23:13 27:18 30:8,11 32:14 46:2,8 50:10,10 52:11 <b>materials</b> 5:3,4 20:22 21:3 31:17 31:19 47:9 68:6 <b>matrix</b> 9:13 22:3 22:14 23:7 31:7 43:19 48:9 52:9 <b>matt</b> 12:16,16 <b>matt's</b> 12:15 <b>matter</b> 29:13 33:11 <b>md</b> 1:13 <b>mean</b> 13:21 22:4 29:10 31:22 33:2 33:12 37:1 42:1 63:3 <b>meaning</b> 3:18 54:6 <b>means</b> 13:8 <b>measure</b> 8:5 10:20 23:8 45:2 68:16 <b>measurement</b> 12:2 71:1 <b>measurements</b> 68:20 <b>measuring</b> 67:14 67:17 <b>mechanism</b> 55:14 <b>medical</b> 6:21 7:8 <b>meeker</b> 4:1 16:2 28:8,15 29:5,10 29:15 41:10,18 53:21 61:10,17 62:9 64:2,5,10 65:1,4 70:20 71:4 71:12,17 72:1 <b>meeker's</b> 4:11 <b>meet</b> 26:21 46:6 <b>meeting</b> 48:19 <b>melet</b> 72:11 <b>member</b> 13:14,20 14:2 16:4,9 17:2,6
---	---	---	--

17:7,9,11,12,13 17:17 18:12,15,19 18:22 19:12 20:4 20:14,16,19 21:14 21:16,18,21 22:2 23:17 24:1,2,4 27:9,15 28:13 29:17 31:8,21 32:20,21 33:18 34:12,14,15,18,19 34:21 35:1,5,10 35:11,16,19 36:9 36:12,14,17,18,22 37:15,17,19 39:10 45:12,18 50:5,19 50:21 51:8,14 52:17 53:7 55:8 55:13 56:8,18 57:1,5 61:20 62:4 62:14,17 63:2,15 64:13,19 65:3,5 65:13,17 68:18 73:11 74:7 <b>members</b> 47:19 <b>mental</b> 8:14 <b>mentioned</b> 4:20 7:17 9:13 10:20 11:13 19:14 38:10 38:15 50:6 <b>mesh</b> 34:7 <b>mesothelioma</b> 26:16,17 55:4 61:6 65:10 <b>met</b> 35:17 <b>meter</b> 45:3,7 <b>method</b> 7:20 10:22,22 11:8,22 12:13,18 18:4 26:3 28:20 30:12 30:22 46:16 49:8 49:9,19,22 50:7 51:3,5 54:8 59:9 59:20,22 60:2 62:20 63:21 65:2	65:6,6 74:8 <b>methods</b> 1:6 9:12 10:7 11:7 13:1,2 15:21 18:6 29:18 32:6,17 47:21 49:5 50:14,14,15 51:4 60:4 67:19 <b>metric</b> 13:1 <b>mica</b> 25:3 <b>micky</b> 7:20 <b>micro</b> 45:3,7 <b>micrographs</b> 40:3 <b>micrometer</b> 45:22 <b>micron</b> 51:10 69:20,21,21 <b>microproduction</b> 21:6 <b>microscope</b> 9:1 10:12 <b>microscopist</b> 10:12 56:2 <b>microscopy</b> 13:1 13:11 30:9 31:14 41:5 42:16 43:14 44:2,19 <b>miles</b> 26:18 <b>mill</b> 18:17 <b>milling</b> 11:2,3 <b>million</b> 52:9 70:8 70:9,16 73:18 <b>millions</b> 52:22 69:22 <b>mind</b> 4:3 70:2,3 <b>mineral</b> 1:6 5:1 6:11,12,15 14:18 15:17 26:10 27:1 27:13 34:4,6 50:17,19,21,22 53:14,18 54:3,3 54:14 57:11 66:3 <b>mineralogical</b> 26:12 33:10 <b>minerals</b> 8:2,7 9:11,16,16 11:14	11:19 14:18 27:14 35:9 56:17 57:20 67:16 <b>minuses</b> 39:20 40:5 <b>minutes</b> 38:10 <b>missed</b> 74:17 <b>missing</b> 9:22 <b>money</b> 59:17 63:1 <b>monitor</b> 35:5 <b>monitoring</b> 19:8 19:12 <b>monograph</b> 35:6 49:1 <b>monographs</b> 37:2 48:22 <b>monolayer</b> 10:11 <b>months</b> 5:19 <b>morning</b> 3:6,21 7:17 8:12 10:3,18 11:13 12:8 16:20 19:14 <b>morphology</b> 12:1 12:3,7 <b>mother</b> 57:20 <b>move</b> 7:11 28:3 50:4 52:14,15 54:2 65:22 <b>moved</b> 53:21 <b>moves</b> 16:17,18 <b>moving</b> 18:1 19:19 20:18 <b>msds</b> 15:16 <b>mulet</b> 54:10 <b>multiple</b> 3:18 6:1 6:2 27:22 37:7 41:1 60:20 <b>multitude</b> 32:18	<b>nanoscience</b> 51:10 <b>narrow</b> 55:21 <b>narrower</b> 45:2 <b>national</b> 10:1 <b>nationally</b> 3:14 <b>native</b> 32:6 <b>natural</b> 5:4 <b>nature</b> 21:9 57:14 <b>necessarily</b> 8:15 52:12 59:1 <b>necessity</b> 62:18 <b>need</b> 5:20 9:3 13:7 19:13 25:16,18 31:10 32:16 40:8 49:14 50:3 53:12 61:15 63:22 65:22 67:11 73:7,8 <b>needed</b> 41:16 <b>needs</b> 5:5 48:9 <b>neither</b> 75:7 76:6 <b>neurological</b> 27:2 <b>never</b> 23:10 30:5 30:16 <b>new</b> 3:11 15:2,6 33:18 49:19 <b>news</b> 56:15 68:18 <b>nical</b> 29:21 <b>night</b> 65:9 <b>nine</b> 5:19 <b>niosh</b> 19:10 53:13 <b>nodules</b> 66:5 <b>nonasbestiform</b> 46:8 <b>noncancerous</b> 27:11 <b>nonmicroscope</b> 10:15 <b>nonstructural</b> 70:7 <b>nonstructures</b> 69:19 <b>notary</b> 75:1,18 <b>noted</b> 24:17
		<b>n</b>	
		<b>n</b> 2:1 3:1 <b>nabes</b> 69:8,9 <b>nailed</b> 9:8 <b>named</b> 45:18	

<b>notes</b> 18:9 <b>notice</b> 6:11 <b>nuggets</b> 58:12 <b>number</b> 7:22 11:11 20:17,19 25:4 52:18 69:19 69:22 73:2,3,12 74:11 <b>numerator</b> 70:2 <b>nuts</b> 52:3 <b>nw</b> 1:21	69:5 71:1,11,21 72:4 74:5,14 <b>old</b> 69:4,8 <b>oleander</b> 38:18 <b>once</b> 28:10,13,15 <b>ones</b> 37:3 51:6 52:13 <b>open</b> 13:5 <b>openings</b> 41:1 <b>opens</b> 27:21 <b>opportunity</b> 44:16 52:1 <b>opposed</b> 20:3 <b>optical</b> 45:2,5 <b>optimal</b> 44:1 <b>option</b> 61:14 <b>options</b> 10:20 <b>order</b> 19:6 40:8 66:4 <b>ore</b> 58:5 <b>oregon</b> 53:21 <b>organics</b> 38:17 <b>original</b> 4:21 23:3 <b>orock</b> 72:22 <b>osha</b> 26:7,9,19 <b>outcome</b> 27:9 62:20 75:12 76:8 <b>overall</b> 15:12 <b>overrule</b> 44:14 <b>overruled</b> 58:19	<b>park</b> 1:13 <b>part</b> 5:16 36:3 47:8 48:20 66:3 67:17 <b>participation</b> 3:19 <b>particle</b> 33:22 34:7 46:3 53:14 54:22 59:12 <b>particles</b> 10:11 46:11,17,22 53:18 54:14 58:9 69:19 70:7 <b>particular</b> 59:1 <b>particulars</b> 59:5 <b>parties</b> 75:9,11 76:7 <b>partner</b> 3:12 <b>parts</b> 70:15,16 <b>pass</b> 64:5 <b>pathologists</b> 64:17 <b>pathway</b> 16:14 <b>pay</b> 48:14 <b>peon</b> 59:20 <b>people</b> 7:7 12:19 14:4 22:15 28:11 28:14 30:21 38:22 60:9 65:22 <b>percent</b> 12:17 15:12,19 21:3 30:4 34:3 35:2,8 35:12,12,14 <b>percentage</b> 32:15 44:3 52:12 <b>perfectly</b> 42:12 <b>perked</b> 54:13 <b>persist</b> 26:18 <b>person</b> 13:13 40:16 51:22 63:15 65:9 <b>personal</b> 20:14,15 <b>perspective</b> 4:13 4:15 18:22 48:19 70:10	<b>pf</b> 49:16 <b>ph</b> 4:18 5:10 13:16 13:16,16,16,18 15:13 17:4 19:21 25:1,10 36:7 45:1 63:16 64:15 66:9 66:11,16 68:17 72:22 <b>pharmaceutical</b> 35:14 <b>phase</b> 19:16 49:4 <b>physical</b> 33:10 34:2 35:16 <b>pick</b> 19:9 40:16 62:20 <b>piece</b> 25:8 48:6 <b>pine</b> 32:15 <b>place</b> 6:6 14:13 24:22 <b>placed</b> 34:6 66:5 <b>platy</b> 34:8 35:22 36:4 59:2 <b>plausible</b> 25:7 <b>play</b> 46:12 <b>playtiness</b> 36:6 <b>please</b> 9:1 35:4 39:5 <b>plm</b> 30:6 40:3,16 41:12 42:2 43:8,8 45:20,21 46:22 48:8 <b>plus</b> 72:10 <b>pluses</b> 39:19 40:5 <b>pm</b> 46:5 <b>po</b> 60:19 <b>point</b> 3:17 14:6,20 16:15 22:10,12 28:2 30:5,20 48:8 55:13 56:2 61:2 68:15 <b>pointed</b> 42:19 62:18 <b>points</b> 3:20 58:12 67:12
<b>o</b>			
<b>o</b> 3:1 <b>objective</b> 6:13 <b>observable</b> 52:11 <b>observation</b> 14:8 <b>observe</b> 68:16 <b>observing</b> 70:5 <b>obstacles</b> 51:1 <b>obviously</b> 6:3,10 7:5 27:12 36:6 72:18 <b>occasion</b> 41:11 <b>occurrence</b> 5:4 <b>odd</b> 59:11 <b>officer</b> 75:2 <b>official</b> 37:14 <b>officially</b> 46:18 <b>oh</b> 12:14 15:13 28:17 38:5 <b>oj</b> 64:3,4,11 67:4 <b>okay</b> 6:19,20 7:1,4 7:15,22 12:7 14:3 18:14 20:17 22:11 23:17 24:7,18 26:5 32:11 33:7 35:15 36:1 37:7 37:18,19 39:9 41:19 44:5 45:9 45:10,14 46:15 47:2,3,11 50:2 51:12,18 53:5,12 55:5,16 56:12,18 59:12 60:14 62:16	<b>p</b> <b>p</b> 2:1,1 3:1 <b>p.m.</b> 1:9 <b>pail</b> 32:13 <b>pain</b> 10:4 <b>panel</b> 44:17 49:8 49:10,17 <b>panels</b> 47:18 <b>pantheon</b> 61:12 <b>parallel</b> 59:3 <b>pardon</b> 49:13 <b>parent</b> 57:17,18 <b>parity</b> 72:22		

<p><b>poison</b> 22:3</p> <p><b>polarized</b> 44:19</p> <p><b>popular</b> 5:20,20</p> <p><b>population</b> 7:7 15:6 28:16 30:7,8 30:10 46:3,10 47:1 74:3</p> <p><b>populations</b> 5:6 59:12</p> <p><b>portion</b> 15:5</p> <p><b>positive</b> 44:12</p> <p><b>possibilities</b> 51:7</p> <p><b>possible</b> 4:1 16:13 42:16 43:13 55:15 55:18,20 60:21 68:14</p> <p><b>possibly</b> 30:10 52:22 62:1 70:4</p> <p><b>potential</b> 18:11 22:19 41:8</p> <p><b>potentially</b> 11:20 25:20 31:11 52:6</p> <p><b>potluck</b> 59:20</p> <p><b>powder</b> 8:18 9:10 19:21 20:21 33:2 38:15</p> <p><b>powders</b> 50:19,21 50:22</p> <p><b>power</b> 14:18</p> <p><b>powerpoint</b> 60:4</p> <p><b>practical</b> 5:8 8:16</p> <p><b>precision</b> 47:22</p> <p><b>predisposed</b> 65:10</p> <p><b>predisposition</b> 65:9</p> <p><b>preferable</b> 41:22</p> <p><b>prep</b> 7:18 10:20 10:22 11:11 16:7 18:10 24:14 39:19 51:3 58:16 68:9 73:17</p> <p><b>preparation</b> 16:5 23:2 50:9</p>	<p><b>prepared</b> 76:3</p> <p><b>prepped</b> 7:21</p> <p><b>preps</b> 30:11</p> <p><b>present</b> 8:2 51:19 53:16 62:19</p> <p><b>presentation</b> 15:9 56:1</p> <p><b>presented</b> 69:18</p> <p><b>preserve</b> 39:22</p> <p><b>presumably</b> 16:9</p> <p><b>pretty</b> 59:15</p> <p><b>price</b> 47:22</p> <p><b>primarily</b> 6:20</p> <p><b>primary</b> 64:16</p> <p><b>prior</b> 24:6</p> <p><b>prismatic</b> 12:10</p> <p><b>probably</b> 29:1,11 33:19 35:12 36:18 37:22</p> <p><b>problem</b> 5:11,22 22:4,6,19 23:3,18 23:21 24:1,5 28:17 56:14</p> <p><b>problematic</b> 8:8 61:7</p> <p><b>problematical</b> 38:19</p> <p><b>problems</b> 5:7 6:3 8:10 24:20 52:4 73:16</p> <p><b>proceeding</b> 75:3</p> <p><b>proceedings</b> 75:4 75:6</p> <p><b>process</b> 21:5 22:14 22:16 41:21,22 44:8</p> <p><b>produce</b> 11:4 66:14</p> <p><b>produced</b> 58:13</p> <p><b>producer's</b> 24:5</p> <p><b>producers</b> 9:18</p> <p><b>product</b> 15:3 20:3 22:5,17 23:11 24:7,20 25:21</p>	<p>38:11 40:1 50:13 51:18 52:7 56:19</p> <p><b>production</b> 8:5 10:21 31:11</p> <p><b>products</b> 9:12 33:2,3 56:20</p> <p><b>professionals</b> 12:19 63:5</p> <p><b>progress</b> 49:11</p> <p><b>projects</b> 3:13</p> <p><b>promote</b> 47:16 68:9</p> <p><b>proper</b> 74:1</p> <p><b>properly</b> 8:6</p> <p><b>properties</b> 26:22 27:1 35:20 45:2,5</p> <p><b>property</b> 11:16</p> <p><b>proposal</b> 49:12,15 49:18</p> <p><b>proposed</b> 49:22</p> <p><b>protect</b> 4:1 27:10 27:13 29:8</p> <p><b>protects</b> 43:12</p> <p><b>protocol</b> 6:15 46:6 46:7 47:6</p> <p><b>protolite</b> 57:22</p> <p><b>provide</b> 32:13</p> <p><b>provider</b> 23:13</p> <p><b>providing</b> 31:15</p> <p><b>pseudomorphate</b> 57:16</p> <p><b>public</b> 4:2 29:8 75:1,18</p> <p><b>pun</b> 49:14</p> <p><b>purchased</b> 19:20</p> <p><b>pure</b> 22:5 33:21</p> <p><b>purity</b> 33:15</p> <p><b>purposed</b> 7:20 53:16</p> <p><b>purposes</b> 37:13</p> <p><b>purposing</b> 18:5</p> <p><b>purview</b> 49:6</p> <p><b>push</b> 30:12</p>	<p><b>put</b> 3:3,16 4:12,22 38:21,22 46:21 47:5 48:19 49:4 49:15,20 53:15 56:3 57:5 67:2,4 68:22 69:12 70:12 72:1 73:16</p> <p><b>putting</b> 13:22 49:18 50:1 58:8 73:22</p>
			<b>q</b>
			<p><b>qmi</b> 19:2</p> <p><b>qualify</b> 32:5 36:5</p> <p><b>qualitative</b> 50:16 53:10</p> <p><b>qualitive</b> 51:20</p> <p><b>quality</b> 33:20 36:10 49:6</p> <p><b>quandary</b> 67:5</p> <p><b>quantification</b> 52:10</p> <p><b>quantify</b> 65:11</p> <p><b>quantitated</b> 51:15 62:4</p> <p><b>quantitative</b> 12:17 50:14,17 51:16 53:10</p> <p><b>quantitive</b> 51:20</p> <p><b>question</b> 25:12 26:18 32:22 33:6 33:13 36:2 37:10 41:21 42:20 44:12 47:3,4,10 50:3 62:17 64:14</p> <p><b>questions</b> 7:11 32:21 45:6</p> <p><b>quick</b> 39:2 50:6 52:16,17 62:17</p> <p><b>quickly</b> 21:18,21</p> <p><b>quite</b> 36:4 52:18 59:19</p> <p><b>quote</b> 23:9 29:7</p>



<b>r</b>	<b>recovery</b> 32:17 <b>red</b> 56:13 <b>reduced</b> 75:5 <b>reduction</b> 13:2 23:8 <b>redundant</b> 62:2 <b>reference</b> 9:15 31:18 34:13 48:13 54:9 68:6,6 <b>reflection</b> 20:15 <b>regarding</b> 9:9 <b>regardless</b> 9:4 <b>registry</b> 26:9 <b>regular</b> 25:15 <b>regulate</b> 26:19 <b>regulating</b> 4:2 7:3 29:9 <b>regulations</b> 26:7 <b>regulators</b> 7:2,8 12:20 <b>reiterate</b> 3:22 31:4 <b>related</b> 6:21 47:17 75:8 76:6 <b>relative</b> 70:12 75:10 <b>releasable</b> 25:19 25:20 <b>release</b> 23:7 73:2 <b>remember</b> 13:22 23:3 45:16 72:21 <b>remove</b> 8:6 <b>rendition</b> 19:15 <b>repeatability</b> 48:1 <b>replace</b> 49:8 <b>replaced</b> 23:10 <b>report</b> 53:4,9 59:12 68:21,22 72:15 <b>reported</b> 1:18 <b>reporting</b> 1:20 55:14 72:8 <b>represented</b> 70:7 <b>reproducibility</b> 48:1	<b>reproducible</b> 27:19 <b>request</b> 48:21 <b>require</b> 47:21 <b>resolution</b> 43:8 <b>resolved</b> 44:18 <b>respects</b> 35:20 <b>respirable</b> 27:7 55:9 <b>respond</b> 21:19 22:2 <b>response</b> 27:8 64:17 66:11 <b>respro</b> 55:12 <b>rest</b> 4:4 35:8 <b>result</b> 53:11 <b>results</b> 71:11 <b>retail</b> 55:16 56:20 <b>retiring</b> 32:1 <b>reviewed</b> 53:4 <b>revise</b> 18:7 <b>revised</b> 5:20 <b>revision</b> 49:15 <b>ribbon</b> 54:7 57:13 <b>ribbons</b> 56:13 <b>rid</b> 21:2,5 25:22 <b>right</b> 9:2 12:15 17:6 18:8,9 22:6 24:2,16,22 28:19 30:12 31:9 32:20 35:18 37:6 40:13 40:20 42:13,14 43:1,21 45:9,12 51:21 53:8 54:3 55:7 57:12,15 59:8,17 60:2 61:17 62:10 64:9 66:13 68:15,17 69:4,9,13 70:17 71:1 73:8 <b>risk</b> 67:7 72:13 <b>rj</b> 12:14 47:8 <b>rolg</b> 72:2	<b>road</b> 48:11 56:12 <b>roadmap</b> 53:13 <b>robert</b> 26:5,6 27:12 43:19 60:16 <b>robert's</b> 45:4 <b>robin</b> 1:8 2:4 3:12 3:13,16 7:14 12:15 37:12,16,18 38:5,7 39:1,6 58:13 60:16,20 63:18 70:14 71:19 71:22 74:18 <b>robin's</b> 18:9 37:10 <b>rock</b> 54:21 57:1 <b>rocks</b> 22:22 <b>role</b> 7:3 <b>room</b> 5:11 42:15 43:12 <b>roster</b> 5:18 <b>rough4</b> 72:19 <b>routinely</b> 31:17 <b>rozinski</b> 13:18 <b>rti</b> 32:12,12 48:10 <b>rubbed</b> 25:14 <b>rules</b> 6:8 <b>run</b> 8:15 30:1,5 71:6 <b>running</b> 41:22 <b>rutstein</b> 14:8,13 14:16 38:10 39:2 39:4,7,14 43:2 54:11
		<b>s</b>	
		<b>s</b> 2:1 3:1 10:7 <b>safe</b> 26:21 59:19 <b>safety</b> 49:7 <b>sample</b> 7:22 16:16 17:19 19:6,9,16 20:2,7,11,12 21:1 21:6,13 40:17 43:7 46:1,4 50:9 56:3 58:15 60:17 60:18 63:6 69:12 73:17	

<p><b>samples</b> 20:20 25:14 65:16</p> <p><b>sampling</b> 43:22 51:10</p> <p><b>sat</b> 23:4</p> <p><b>saved</b> 4:18</p> <p><b>saw</b> 4:7 16:19 30:5 40:2,3 42:21 46:22 53:2,3</p> <p><b>saying</b> 18:8 22:16 24:8 31:21 40:7 40:15 43:4,5,11 51:2 53:3 73:1</p> <p><b>says</b> 4:9 28:15 32:2 63:9 70:3</p> <p><b>scale</b> 69:13</p> <p><b>scanning</b> 64:11</p> <p><b>scans</b> 63:11</p> <p><b>scares</b> 32:2</p> <p><b>schematic</b> 60:12</p> <p><b>school</b> 15:15</p> <p><b>science</b> 26:10 27:13 68:15</p> <p><b>scope</b> 49:9 56:5</p> <p><b>seat</b> 4:18</p> <p><b>seatown</b> 34:15</p> <p><b>second</b> 24:11</p> <p><b>section</b> 46:16</p> <p><b>see</b> 3:2,18 10:9,16 11:15 13:12 19:18 20:4 25:3,4 26:22 42:17 43:8 44:1,4 45:3,7 46:3,6,21 53:1 57:21,22 58:3,5,6,7,9 61:22 66:8 69:1 70:1,2 70:22 71:1,5 74:19</p> <p><b>seeder</b> 48:20</p> <p><b>seeing</b> 46:14 73:17 73:19</p> <p><b>seen</b> 21:2 56:20 60:7</p>	<p><b>sees</b> 26:11</p> <p><b>segment</b> 61:9</p> <p><b>segregate</b> 5:6 8:1</p> <p><b>segregation</b> 11:2</p> <p><b>segregator</b> 11:16</p> <p><b>segway</b> 24:19,20</p> <p><b>selling</b> 11:17</p> <p><b>sem</b> 10:13 40:3 50:8 51:15 61:10 61:11,17 64:8,9 67:4</p> <p><b>sending</b> 5:17 71:14</p> <p><b>sense</b> 4:21 23:12 26:1 46:13</p> <p><b>sensitivities</b> 30:3</p> <p><b>separate</b> 11:19 24:17 27:1</p> <p><b>separation</b> 11:6,9 11:12 21:16 30:13 30:18</p> <p><b>sephora</b> 14:10</p> <p><b>sepiolite</b> 58:3,3,7</p> <p><b>series</b> 55:2</p> <p><b>serpentine</b> 57:22 57:22</p> <p><b>service</b> 34:5</p> <p><b>services</b> 31:15</p> <p><b>session</b> 1:5 6:9 12:1 69:16 74:16 74:19</p> <p><b>sessions</b> 4:4</p> <p><b>set</b> 67:18</p> <p><b>seven</b> 72:10</p> <p><b>severity</b> 73:4</p> <p><b>shaming</b> 39:4</p> <p><b>shape</b> 29:12</p> <p><b>share</b> 9:19</p> <p><b>shared</b> 15:9</p> <p><b>shawn</b> 13:16 14:10 23:18,20 24:11,18,19 26:4 33:4,5,8,11,13 42:10,11,12,15</p>	<p>43:4,10,11 52:2,3 54:17,21 55:6,11 57:8,10 60:3,7 64:7 65:21 66:2 66:13,18 70:19 72:4,5,6,16,17 73:13</p> <p><b>shoot</b> 15:16</p> <p><b>short</b> 4:12 6:8 15:22</p> <p><b>show</b> 6:18 7:1 15:11 19:18 30:9 69:3</p> <p><b>showed</b> 16:21</p> <p><b>shown</b> 29:15</p> <p><b>shows</b> 27:8</p> <p><b>side</b> 4:5 6:22 7:8 12:21 24:12 27:10 27:11 32:19 59:19</p> <p><b>sides</b> 27:22</p> <p><b>sieving</b> 11:1</p> <p><b>signature</b> 75:16 76:12</p> <p><b>silica</b> 66:15</p> <p><b>similar</b> 16:16</p> <p><b>similarly</b> 52:14</p> <p><b>simple</b> 23:2 30:21</p> <p><b>simulate</b> 19:13 20:10 28:1</p> <p><b>single</b> 43:22</p> <p><b>sir</b> 31:20</p> <p><b>site</b> 66:16</p> <p><b>sitting</b> 54:18</p> <p><b>situations</b> 19:7 20:5</p> <p><b>size</b> 11:2 29:12 32:17 33:22 34:7 56:9 71:2</p> <p><b>skills</b> 75:7</p> <p><b>skipped</b> 60:4</p> <p><b>slide</b> 8:13 10:11 12:9 13:4,8 16:5 54:3</p>	<p><b>slides</b> 68:1</p> <p><b>slight</b> 72:20</p> <p><b>slightly</b> 50:3 52:16 53:17</p> <p><b>small</b> 15:5 48:6 67:13</p> <p><b>smart</b> 14:21</p> <p><b>sniff</b> 8:22</p> <p><b>snitch</b> 61:4</p> <p><b>snob</b> 29:19 51:13</p> <p><b>solicitation</b> 47:6</p> <p><b>solve</b> 47:9</p> <p><b>solvent</b> 11:12</p> <p><b>somebody</b> 8:20 9:21 32:10 42:10 54:9,13</p> <p><b>somebody's</b> 59:10</p> <p><b>sonication</b> 21:7</p> <p><b>sop</b> 18:4 28:20 59:9 73:13,15</p> <p><b>sorry</b> 29:12 50:22 69:15</p> <p><b>sort</b> 9:3,21 12:10 13:5 17:17 28:5 47:16 52:6 63:9 64:21 73:3,9</p> <p><b>source</b> 4:6</p> <p><b>south</b> 32:4</p> <p><b>space</b> 52:14</p> <p><b>spare</b> 3:9</p> <p><b>speaking</b> 14:22</p> <p><b>special</b> 3:13</p> <p><b>species</b> 30:14 64:21</p> <p><b>specific</b> 23:11 31:7 47:13 48:22 49:5 50:7 69:6</p> <p><b>specifically</b> 73:1</p> <p><b>spectra</b> 40:4 63:8</p> <p><b>spectroscopy</b> 67:4</p> <p><b>spends</b> 65:15</p> <p><b>spent</b> 72:11</p> <p><b>spider</b> 32:14</p>
---	--	---	--

<p><b>spike</b> 70:21  <b>spot</b> 15:19  <b>sprayed</b> 11:10  <b>srd</b> 13:12  <b>sri</b> 48:12  <b>srm2063</b> 71:6  <b>stakeholders</b>  49:15,22  <b>stamp</b> 10:21  <b>stand</b> 32:7  <b>standalone</b> 61:15  <b>standard</b> 26:14  33:19 35:12 37:14  74:11  <b>standardization</b>  73:15  <b>standards</b> 9:15  26:22 32:3,5  33:19 68:6 70:20  70:22 74:10,12  <b>standing</b> 60:12  64:22  <b>start</b> 3:20 6:7 42:3  44:8 46:13 48:5  48:13 54:20 58:8  59:5 74:16  <b>started</b> 14:11  65:22  <b>starting</b> 14:16,20  27:18 28:2 74:16  <b>state</b> 75:19  <b>statement</b> 54:17  68:9  <b>stay</b> 5:19  <b>step</b> 27:20 55:15  <b>steps</b> 7:19 50:9  55:3  <b>stereomicroscope</b>  10:10  <b>steve</b> 5:10,11,14  19:21,22 34:2  35:15,18 36:8  37:20 43:22 44:6  44:7 59:16 61:2</p>	<p>72:11,17  <b>steve's</b> 59:16  <b>stick</b> 9:9 56:16  <b>store</b> 22:7  <b>story</b> 73:22  <b>straight</b> 20:21  <b>stream</b> 34:5  <b>street</b> 1:21  <b>strengthen</b> 48:21  <b>structural</b> 51:16  59:4  <b>structure</b> 10:17  52:21 53:2 63:12  63:13 68:21 70:5  72:9 73:15,17,19  <b>structure's</b> 69:17  <b>structures</b> 8:18  23:9 25:20 40:22  41:8 42:17 43:14  52:8,9,11,18 53:1  63:7 70:4,5 73:3,9  73:18  <b>stuart</b> 45:1  <b>students</b> 14:4  <b>studies</b> 22:22  32:16  <b>study</b> 15:10 23:4  47:21 48:3,9,11  <b>stuff</b> 8:22 9:2  38:21,22 39:7  40:21 42:18 56:21  57:2,13 66:22  <b>stuff's</b> 29:1  <b>subcommittee</b>  5:17  <b>subcommittee's</b>  6:5  <b>submit</b> 19:19  <b>submitted</b> 48:20  <b>successfully</b> 72:12  <b>suffice</b> 25:15  <b>suggest</b> 38:19  <b>suite</b> 1:21 10:6  51:3</p>	<p><b>sum</b> 57:9  <b>summarize</b> 58:13  70:11  <b>sun</b> 14:19  <b>supply</b> 49:2  <b>sure</b> 8:9 11:5 14:2  14:21 18:7 37:6  37:17 51:4 54:1  67:1,14,17  <b>surface</b> 17:22 64:2  <b>surfaced</b> 62:21  <b>survey</b> 5:18  <b>surveys</b> 5:18  <b>suspect</b> 24:21  <b>symposium</b> 1:2  <b>synchrotron</b> 10:1</p> <hr/> <p style="text-align: center;"><b>t</b></p> <hr/> <p><b>t</b> 10:7  <b>take</b> 11:20 15:13  50:2 51:18 59:2  59:14 62:5 63:7  63:11  <b>taken</b> 5:15 75:3,9  <b>takes</b> 31:2 32:6  70:3  <b>talc</b> 1:3,6 6:10,10  6:16 7:21 14:9  23:14 24:22 25:5  25:7,9 30:13 31:2  33:1 34:4,4,6,8,10  34:17 35:8,14  36:10 37:3,4,14  37:21 43:19 48:13  48:22 49:9 50:17  51:18 52:7,19  54:7,11,12 56:13  56:16 57:4,4,7,8  57:11,11,15,16  58:5,5,6 59:2 68:3  68:3 69:20 70:21  73:8  <b>talcs</b> 58:3  <b>talcum</b> 20:21  38:15</p>	<p><b>talk</b> 3:5 4:11 8:14  12:5 32:2 40:2,15  54:15 64:17  <b>talked</b> 8:8 68:2,2,7  <b>talking</b> 12:2 22:19  27:21 33:3 36:13  44:8,9 56:1 65:8  67:22 70:21  <b>talks</b> 62:18  <b>target</b> 55:6  <b>task</b> 21:9  <b>technical</b> 17:13  <b>technically</b> 58:2  <b>technique</b> 9:21  10:15 17:19 24:17  39:17 40:8,9 47:5  47:13 59:15 60:21  60:22 61:13 64:9  74:3  <b>techniques</b> 8:11  24:14 40:10 42:1  65:19 67:3 68:9  68:11  <b>technologies</b> 8:11  15:21 24:13 39:18  40:10 61:12  <b>technology</b> 40:2  <b>tell</b> 5:14 21:10  51:19 59:21 63:10  67:22  <b>telling</b> 73:21  <b>tells</b> 30:4  <b>tem</b> 10:14 13:1  29:19 40:4,17,18  40:21 41:8,12,16  42:1,20,21 43:7  44:3,9 47:7 48:9  59:16,21 62:3  68:19 69:3,3  <b>tem's</b> 29:19  <b>temeds</b> 71:7  <b>ten</b> 53:15  <b>tend</b> 9:10</p>
--	--	--	---

<b>term</b> 17:14 <b>terminology</b> 5:9 5:22 <b>terms</b> 6:9 19:4 49:11,18 <b>terribly</b> 59:22 <b>test</b> 1:6 25:13 44:13 50:7 73:6 <b>tested</b> 15:3 <b>testing</b> 3:11 25:1,8 <b>thank</b> 7:15 37:8 52:3 74:14,18,18 <b>theme</b> 50:3 52:16 53:13 <b>thin</b> 29:11 56:8 <b>thing</b> 5:8,16 14:9 17:18 25:18,21 27:17 30:22 32:1 41:6 45:13 57:8 57:21 58:8 61:2 66:2 69:9 70:12 73:7 74:7,12 <b>things</b> 4:12,15 7:1 7:16 11:9 12:21 18:3 23:2,12 31:10 38:11,13,13 39:16 47:20 52:22 71:4 <b>think</b> 4:14,16 6:8 6:9 10:2,3 11:17 13:4 14:4 15:10 16:20 20:4,9 25:16 28:4 39:10 41:4,10,14,14 43:2,16 45:4 46:12 48:15 49:16 50:1,18 54:9 55:20,21 57:9 59:22 60:10,14 61:20 63:4 67:11 69:17 70:6 72:4 74:3,5,7,17 <b>thinking</b> 47:7 57:1 57:3	<b>thinner</b> 41:18 <b>thought</b> 3:4,21 6:6 23:10 29:4 36:14 45:16 <b>thoughts</b> 40:9 <b>thousands</b> 25:1 65:15 70:4 <b>three</b> 5:18 24:9 40:9 42:9 67:12 <b>threw</b> 9:20 <b>throw</b> 69:10 <b>thrown</b> 69:6 <b>tile</b> 15:2 31:13,13 <b>tiles</b> 15:7,15 <b>time</b> 3:9 4:6 5:15 25:16 29:22 33:20 34:20 36:2 37:6 39:17 44:5 49:1 55:19,21 56:5 58:3,22 59:17 74:15 <b>times</b> 8:5,15 9:14 11:13 21:7 <b>tiniest</b> 52:22 <b>tissue</b> 66:8 <b>tlm</b> 42:3 46:9,10 <b>tm</b> 46:12,21 50:8 51:15 70:5 <b>today</b> 3:12,17 4:6 4:20 5:11 6:9,11 8:9 9:14 12:1,14 28:6 40:3,10 41:11 46:12 48:20 49:13,20 51:22 54:2,16 74:15,19 <b>told</b> 29:20 <b>tolerate</b> 59:11,11 <b>tool</b> 31:2,2 <b>tools</b> 30:6 31:5,9 <b>top</b> 10:22 46:8 52:14 <b>topic</b> 50:6,13 <b>toxicities</b> 22:9	<b>toxicological</b> 6:22 <b>toxicologist</b> 16:11 19:1 20:9 32:1 48:5 <b>toxicology</b> 49:7 64:19 <b>traffic</b> 3:18 <b>training</b> 8:21 9:1 <b>transcriber</b> 76:1 <b>transcript</b> 76:3 <b>transition</b> 23:9 <b>translate</b> 52:21 <b>tree</b> 30:19 42:5 44:7 <b>tremolite</b> 8:18 15:3,4,5,6,7,12,19 15:20 25:11 30:1 30:4,14 32:15 42:13 43:12 52:20 55:17 57:17,19 <b>tried</b> 12:22 27:4 60:21 71:10 <b>true</b> 12:22 54:1 65:19 75:6 <b>try</b> 8:1 21:8 42:21 55:21 57:9 60:17 <b>trying</b> 8:3 22:10 27:10,12 37:6 45:16 67:1 <b>turn</b> 13:18 33:20 39:15 64:5 <b>turned</b> 4:10 19:7 <b>twice</b> 42:20 <b>two</b> 8:13,21 9:1 10:21 15:9 18:3 28:8 33:5 34:6 40:9 41:20 45:6 46:6 57:12 63:15 <b>tying</b> 41:12 <b>type</b> 12:17 24:17 33:2 43:22 59:11 66:9 72:14 <b>types</b> 36:21	<b>typewriting</b> 75:5 <b>typical</b> 69:21 <b>typically</b> 33:21 <hr/> <b>u</b> <hr/> <b>u</b> 10:7 <b>uh</b> 39:6 <b>underneath</b> 56:5 <b>understand</b> 19:1 24:7 <b>unfair</b> 60:9,10 <b>uniformly</b> 22:17 <b>unit</b> 73:10 <b>unknown</b> 52:4 <b>use</b> 6:12 10:21 12:22 17:18 23:12 24:6 25:15 26:9 27:13 30:3 33:20 35:21 40:5,6,8 41:8 46:5 51:6 52:14 59:10 64:9 67:3 <b>uses</b> 6:12 <b>usgs</b> 71:10 <b>usp</b> 32:11 33:19 35:5,6 37:14,15 38:5 47:18 48:19 48:21,22 49:4,6,9 49:20 <b>usual</b> 24:1 <b>utilized</b> 12:19 31:10 <hr/> <b>v</b> <hr/> <b>valid</b> 73:19 <b>validation</b> 74:8 <b>value</b> 45:21 50:8 <b>vanderbilt</b> 25:10 <b>variables</b> 32:18 <b>variety</b> 56:17 <b>various</b> 8:10 67:3 <b>varying</b> 71:11 <b>vehemently</b> 58:16 <b>verifiable</b> 27:19
---	--	--	---

<b>vermiculite</b> 11:10	<b>weber</b> 53:16 54:9	<b>x</b>
<b>versus</b> 50:11	<b>weight</b> 12:16 20:8	<b>x</b> 74:11
<b>view</b> 41:1	73:10 74:12	<b>xrd</b> 10:14 13:12
<b>views</b> 41:22	<b>went</b> 23:5	13:13,17 14:1
<b>volume</b> 12:17	<b>wet</b> 10:21	30:2,5,11 40:3
<b>volunteering</b> 37:8	<b>what's</b> 11:22	42:2,3 48:9 62:2
<b>w</b>	<b>white</b> 10:21 57:14	<b>y</b>
<b>wait</b> 37:9	<b>wide</b> 56:17	<b>yeah</b> 4:8,17 13:15
<b>walking</b> 42:18	<b>width</b> 41:7,10,14	13:21 14:3,3,22
<b>want</b> 3:19 6:17 7:8	45:22 46:11 61:5	18:21 23:15 28:22
11:4,4 16:19 18:2	61:6 67:17 68:20	29:14 33:5,7,9
18:4,8 19:2,3,3,4	69:5	34:14,18 36:6,11
20:5,7,11,18	<b>widths</b> 41:17,18	37:12,16 41:20
26:19,21 29:17	69:1	42:12 43:18 44:2
34:13 37:13 39:22	<b>wife</b> 14:9	45:10 48:5,18
41:7 52:20 56:3,4	<b>wish</b> 54:18	51:8 57:3 61:20
56:5,9,10 59:20	<b>witches</b> 38:17 39:8	62:11,13,16 63:5
63:6,21 66:22	<b>woman</b> 38:21	66:14 70:14 71:3
69:11,12 74:14	<b>women</b> 14:10	71:11,19 72:2
<b>wanted</b> 3:7 6:5	<b>wonderful</b> 60:11	73:14
13:5 15:2 26:6	<b>word</b> 6:12 36:7	<b>year</b> 8:21,22 14:11
50:5 64:13 74:18	38:4,7 54:5 59:10	<b>years</b> 5:15 6:3
<b>wants</b> 7:12	59:11 60:1 74:6	10:4 15:1 34:16
<b>washington</b> 1:22	<b>words</b> 4:12 16:14	53:15 55:18 67:7
<b>wasting</b> 59:17	<b>work</b> 6:5 7:2	69:11
<b>wax</b> 22:14,17 26:3	12:20 49:10 51:10	<b>yep</b> 22:11 35:10
26:3,4,4	69:8 71:17 72:18	38:2
<b>waxes</b> 8:1,4 9:17	72:19	<b>yo</b> 19:2
21:3	<b>worked</b> 43:17	<b>young</b> 60:11
<b>way</b> 14:12 17:19	<b>working</b> 39:14	<b>z</b>
17:20 19:13 20:9	51:1,4	<b>zero</b> 72:20
21:12 22:21 23:1	<b>works</b> 30:13	<b>zeros</b> 70:9
29:11 40:6,17	<b>world</b> 22:3	<b>zone</b> 19:9
47:16 50:6 54:21	<b>worry</b> 28:18 73:12	
55:1 56:4,9 63:12	<b>worth</b> 15:14	
73:18 74:9,10	<b>worthless</b> 30:3	
<b>ways</b> 8:1 57:12	<b>wow</b> 62:22	
<b>we've</b> 8:3 10:3	<b>write</b> 59:16 70:8	
19:7 24:20 39:18	<b>written</b> 67:13	
55:18 56:20 60:7	<b>wrote</b> 45:1	
67:22	<b>wylie</b> 4:17,19 8:20	
<b>weak</b> 38:16	40:15 61:3	
<b>wearing</b> 4:6 56:13		